

COMMISSION OF INQUIRY  
INTO FORENSIC DNA TESTING IN QUEENSLAND

Brisbane Magistrates Court  
Level 8/363 George Street, Brisbane

On Thursday, 24 November 2022 at 9.30 am

Before: The Hon Walter Sofronoff KC, Commissioner

Counsel Assisting: Mr Michael Hodge KC  
Ms Laura Reece  
Mr Joshua Jones  
Ms Susan Hedge

1 THE COMMISSIONER: Ms Reece.

2

3 MS REECE: Thank you, Commissioner.

4

5 Commissioner, as this Inquiry enters its final weeks, we  
6 are now in a position to explore the handling of the DNA  
7 evidence in relation to the murder of Ms Shandee Blackburn.

8

9 It's fair to observe that this case has loomed large in the  
10 life of the Commission, and it seems fitting that it forms  
11 part of this final chapter.

12

13 It is compelling for its tragedy, for the humanity of the  
14 loss of a life, lack of closure for a family, but it's also  
15 illuminating in the insights it has given us into the  
16 functioning of the lab at that time almost ten years ago.

17

18 In the early hours of the morning of 9 February 2013  
19 Ms Blackburn was walking home from work in Mackay. She was  
20 attacked on Boddington Street when she was not far from  
21 home. She was stabbed multiple times. There was very  
22 little evidence to assist police in identifying her killer.

23

24 The forensic investigation of the scene and other sites  
25 commenced in the early hours of the following morning, or  
26 that morning, and spanned a number of weeks. It did not  
27 result in compelling evidence identifying an individual,  
28 but in time police did identify a suspect and a man was  
29 tried for and acquitted of her murder in 2017. There was  
30 no DNA evidence linking him to the scene or to the murder  
31 of Ms Blackburn.

32

33 In 2020, as, Commissioner, you're aware, there was a  
34 Coronial Investigation and in February of this year the  
35 Coroner announced that that investigation or that Inquest  
36 would be reopened.

37

38 As senior counsel assisting Mr Hodge KC noted in earlier  
39 hearings, we have been acutely aware of the need to be  
40 careful in our approach to this aspect of the work of the  
41 Commission and how any public scrutiny of the aspects of  
42 the evidence might effect or overlap with processes that  
43 are ongoing.

44

45 One feature of this approach today is that we will not be  
46 making public large amounts of material in the way that we  
47 have for other modules.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

For just over a year there has been considerable public interest in and concern about this case. This is due to the reporting on the case in podcast format by Mr Hedley Thomas of The Australian newspaper.

This concern, initially over the death of Ms Blackburn and the acquittal of the accused man, broadened over time and became attached to the work of the lab itself. Mr Thomas, assisted by forensic biologist Dr Kirsty Wright, raised a series of concerns as to the results obtained by the lab from samples collected in the Blackburn investigation. They considered and discussed the possible reasons relating to the functioning of the lab in 2013 for what were seen as anomalous results. They did this, of course, based on the information that they had available to them at the time.

The samples of concern, and these are from two sites, or perhaps three. There are three sites that the samples were taken from. One is from Ms Blackburn herself, the other is from the scene of the murder, and the other is from the car of the suspect.

The samples of concern then themselves fall broadly into five categories and they are samples of bloods, or swabs of blood from the scene; samples of the bloodstained shirt Ms Blackburn was wearing when she was attacked; trace DNA located on Ms Blackburn's trousers, which became controversial at trial; samples taken following presumptive screening for blood in the car of the suspect, and samples from a T-shirt found near the scene.

Our approach, as you know, Commissioner, has been to carefully investigate the DNA testing undertaken by the Queensland Health Forensic Scientific Services Laboratory. We have obtained a large amount of material, spoken to investigators, briefed two experts, Johanna Veth and Dr Bruce Bedowle.

Dr Bedowle is known to the Commission, having given evidence in earlier modules. Ms Veth is a senior scientist in the Forensic Biology Group at ESR in New Zealand. She has over twenty years of experience analysing, interpreting and reporting DNA profiling results in a variety of criminal and disaster victim identification investigations.

Ms Veth and Dr Bedowle were tasked with providing a review

1 of the validations of STRMix and PowerPlex 21, both of  
2 which occurred in late 2012. The introduction of those  
3 two, of STRMix and PowerPlex21, constituted a major change  
4 for the lab.

5  
6 Insofar as the introduction of both relates to the  
7 Blackburn case it's covered in their review of the case,  
8 which is a separate report, but they do identify in their  
9 review of the validations a somewhat premature setting of  
10 the thresholds, which was not supported by the data and  
11 that it created a great risk of not detecting potentially  
12 probative exculpatory or otherwise informative profiling  
13 results. This, of course, has some resonance with matters  
14 that we have already heard in the Commission hearings thus  
15 far.

16  
17 When looking at the Blackburn case, in addition to  
18 conducting their own review of the DNA results, we asked  
19 Ms Veth and Dr Bedowle to review a report about the case by  
20 Dr Wright and to test the soundness of her opinions.

21  
22 We have provided Dr Wright with material and facilitated a  
23 discussion between her and our experts in order to identify  
24 where the points of difference lie in their analysis of the  
25 evidence and today, to further that approach, they will be  
26 called together in order to ensure that these differences  
27 can be properly ventilated and explored.

28  
29 THE COMMISSIONER: And as I recall, when Dr Wright gave us  
30 her report, her statement, she invited its review by  
31 qualified people. So what's been done now has been done in  
32 accordance with her wishes and in the spirit of open  
33 scientific inquiry.

34  
35 MS REECE: Yes. As the Commission has already heard on  
36 many occasion, the tradition of peer review or critical  
37 review of scientific work by others is an instrumental part  
38 of the scientific process and certainly Dr Wright had  
39 expressed a desire to have exactly that take place and it  
40 is in the spirit of that that first the conclave between  
41 those witnesses was organised, and that they are to give  
42 evidence today in this way.

43  
44 THE COMMISSIONER: Yes.

45  
46 MS REECE: Importantly, it must be noted that in the  
47 evidence that you will hear from Ms Veth and Dr Bedowle,

1 there is no allegation of deliberate wrongdoing on the part  
2 of the lab, no concealment of errors or misleading of the  
3 police, even those issues which remain in contention around  
4 issues of lab processes and failures, questions of  
5 interpretation and the classification of presumptive blood  
6 screening results.

7  
8 Putting aside those points of difference, the evidence does  
9 indicate that there systemic issues affecting the lab in  
10 2013 which has similarities with those about which we've  
11 heard so much in other modules. A major change of process,  
12 the introduction that I've just spoken of of PowerPlex 21  
13 and STRMix in late 2012, had caused significant disruption  
14 to the efficiency of the lab. Police were concerned about  
15 turn around times. Correspondence between the lab and  
16 police reveals the attempts on the part of the lab to  
17 respond to those concerns.

18  
19 In December 2012 a decision was made not to process further  
20 major crime samples under a certain quant level. That was  
21 a change previously, was the case with the change with the  
22 Options Paper in 2018. Previously certain quantitation -  
23 samples at certain levels of quantitation had been  
24 delineated as no DNA detected or DNA insufficient for  
25 further processing and not submitted for further testing.

26  
27 In December 2012 that was extended to major crime samples  
28 from the volume crime samples which had previously had that  
29 approach taken to them.

30  
31 If I can explain that change or illuminate that change,  
32 Commissioner, with some emails which passed between the  
33 managing scientist at the lab, Cathie Allen, and Officer  
34 Dave Neville of the QPS in February of 2013 and that's best  
35 done by looking at document FSS.1000.0262.3143.

36  
37 THE COMMISSIONER: Yes.

38  
39 MS REECE: Operator, if you could go to the bottom of that  
40 email chain, please.

41  
42 Commissioner, you can see here an email from Cathie Allen  
43 to David Neville on 8 February 2013 where Ms Allen provides  
44 a summary of some information which had been proved to  
45 Inspector Carstensen by Justin Howes regarding the current  
46 situation of the lab.

47

1 The email details the implementation of PP21 and STRMix as  
2 the biggest change to forensic biology, that implementing a  
3 new profiling kit hadn't been done since early 1999, and  
4 that implementing a new statistical software program as,  
5 Commissioner, you'd be aware STRMix is, for mixture  
6 interpretation has never been coupled with a new profiling  
7 kit, so the lab was introducing one new process and one new  
8 profiling kit at the same time.

9  
10 Ms Allen notes that Queensland was the only jurisdiction  
11 that implemented this change of process by the ANZPAA  
12 deadline of the end of December 2012, and she also outlines  
13 some practical difficulties which the lab had encountered  
14 with the Christmas closure and the receipt of numerous  
15 items in January. Ms Allen really sets out there an  
16 explanation of how the lab was functioning and she  
17 undertakes or she gives an opinion and some advice where  
18 she asks essentially for some streamlining to occur with  
19 police in sampling or deciding which samples are sent for  
20 processing.

21  
22 Mr Operator, if you could scroll up. You see here,  
23 Commissioner, that on 11 February 2013 Officer Neville  
24 responded acknowledging that this had been a significant  
25 change and, Mr Operator, perhaps if you could clip out that  
26 text of the email and blow it up, please, for the ease of  
27 reference for those watching.

28  
29 Commissioner, in this email Officer Neville acknowledges  
30 that there had been a significant change and it was having  
31 an unavoidable impact on laboratory throughput. He goes on  
32 to say:

33  
34 *However, I am cognisant that the turn*  
35 *around times are growing. It is imperative*  
36 *to police that offenders are identified*  
37 *rapidly so that they are arrested and*  
38 *prevented from creating more victims. I am*  
39 *very interested to know when you think you*  
40 *will be positioned to provide the same turn*  
41 *around time as previously enjoyed.*

42  
43 And then there's a request for Ms Allen to keep in close  
44 contact with police to keep them abreast of what was  
45 happening and that Officer Neville would be asking  
46 Inspector Carstensen to report to him on a regular basis on  
47 those turn around times.

1  
2 Mr Operator, if you could continue to scroll up, and clip  
3 out that response from Ms Allen.  
4

5 Commissioner, it's not my intention to take you through  
6 each of these emails but this is an exchange between the  
7 lab and police which does underline, on our view of things,  
8 that there was considerable pressure in terms of volume of  
9 samples coming through the lab at that time and also  
10 pressure from the police in the now well understood way  
11 which relates to turn around times in the processing of  
12 results from samples of crime scenes.  
13

14 There's a further email exchange, Commissioner, or a  
15 further email in March of 2013 which then sets out the  
16 process change which had occurred in late 2012. That  
17 exchange is found at FSS.1000.0262.4607. It's an email  
18 from Cathie Allen to Dave Neville on 1 March 2013. And  
19 this email again, it's not necessary for me to read it in  
20 its entirety into the record, Commissioner, it will be  
21 tendered, and I'll tender these emails together because  
22 they - if that's convenient.  
23

24 THE COMMISSIONER: Yes. We'll do that in due course. Yes,  
25 when you've got a bundle of them tender them and I've give  
26 them an exhibit number as a bundle.  
27

28 MS REECE: It's just these two, Commissioner.  
29

30 **EXHIBIT #217 EMAIL CHAIN BETWEEN CATHIE ALLEN AND INSPECTOR**  
31 **NEVILLE IN EARLY FEBRUARY 2013 AND THE EMAIL FROM MS ALLEN**  
32 **TO INSPECTOR NEVILLE OF 1 MARCH**  
33

34 MS REECE: Commissioner, the thrust of this email is  
35 providing information to forensic coordinators about the  
36 change of process in the lab and it does highlight or it  
37 brought to our attention that this process change in late  
38 2012 had extended to the applying of a threshold to major  
39 crime cases, which is set out in the Procedure for Case  
40 Management which was valid from December 2012 and I can  
41 take you to it briefly, Commissioner. It's at  
42 WIT.0016.0105.0007. I understand this was tendered  
43 previously, Commissioner. I'm just getting the exhibit  
44 number. Mr Howes attached it to one of his statements.  
45

46 THE COMMISSIONER: The exhibit number doesn't matter. The  
47 database number is the important one.

1  
2 MS REECE: Thank you, Commissioner. It's at p7 that I'd  
3 seek to take you to and you can see there, Commissioner,  
4 about two-thirds of the way down the page, or just under  
5 halfway down the page:  
6

7 *For samples that have not been amplified,*  
8 *samples with an undetermined quantitation*  
9 *value (is this at the second dot point)*  
10 *will be reported in their associate exhibit*  
11 *as no DNA detected regardless of priority,*  
12 *and any sample with a quantitation value*  
13 *less than .01 nanograms per microlitre will*  
14 *not be amplified or sent for a microcon as*  
15 *this will not yield enough template DNA to*  
16 *allow for reliable DNA profile*  
17 *interpretation. This result will be*  
18 *communicated using the DNA insufficient for*  
19 *further processing exhibit line.*  
20

21 It does go on to say that occasionally a sample --  
22

23 THE COMMISSIONER: Just to put it into context, any sample  
24 with a quantitation value of less than 0.01 nanograms per  
25 microlitre, what was called the DIFP range in earlier  
26 evidence, topped out at .0088.  
27

28 MS REECE: Yes.  
29

30 THE COMMISSIONER: Which is close enough to .01.  
31

32 MS REECE: Yes.  
33

34 THE COMMISSIONER: But is a little less than .01. So this  
35 was applying the DIFP regime at that time.  
36

37 MS REECE: Yes.  
38

39 THE COMMISSIONER: To quants below .0088 and, indeed, at a  
40 higher point, .01.  
41

42 MS REECE: Yes.  
43

44 THE COMMISSIONER: Yes, thank you.  
45

46 MS REECE: Yes. It's a previous example of a threshold  
47 being applied and it did change in 2015, but at the time



1 that we're concerned with in this module, this was the  
2 threshold which was operating.

3  
4 THE COMMISSIONER: Yes.

5  
6 MS REECE: And the no DNA detected threshold was samples  
7 with quantitations of less than .0021 nanograms per  
8 microlitre.

9  
10 THE COMMISSIONER: Which was the manufacturer's standard  
11 limit of detection but, as I understand it, had not been  
12 validated in the lab and you're going to talk about that.

13  
14 MS REECE: Yes.

15  
16 THE COMMISSIONER: Yes, all right, thank you.

17  
18 MS REECE: Thank you, Mr Operator, we don't need that  
19 exhibit any longer.

20  
21 Commissioner, in their report, Ms Veth and Dr Bedowle write  
22 of a busy lab under considerable pressure. Correspondence  
23 between Inspector Neville and Ms Allen is clear  
24 illumination of that or evidence for that proposition. It  
25 seems that reporting the results as soon as possible to  
26 police remained a priority despite there being significant  
27 issues in the lab which included at least two large quality  
28 investigations, an apparent increase in drop-in  
29 contamination and ongoing electrophoresis carry over  
30 concerns, which is the type of contamination, and  
31 difficulties adjusting to PowerPlex 21 and incorporating  
32 STRMix into the work flow.

33  
34 Ms Veth has also identified a potentially significant  
35 anomaly in the batches in which many of the samples of  
36 concern in Blackburn were extracted, and this is an issue  
37 which has arisen almost fortuitously, really, in the last  
38 short period. While the cause of the anomaly has not been  
39 identified and is potentially not identifiable, the results  
40 between the two methods of extraction being used by the lab  
41 at the time are so stark that it appears indicative of a  
42 systemic issue with the functioning of the lab. This is an  
43 issue they appear to have been completely unaware of.

44  
45 I'm only going to speak that issue in broad brush,  
46 Commissioner, because, of course, it's a matter which our  
47 experts are better placed to speak to in detail, but the

1 essential difference is that the samples at the time were  
2 being extracted either on the Maxwell Automated System or  
3 using the multi-probe system, which was partially automated  
4 and partially manual. There was a further fully manual  
5 extraction method but that's not what we're concerned with  
6 here.

7  
8 The difference between the Maxwell extractions and the  
9 multi-probe extractions and the results being obtained from  
10 those two methods of extraction at the time are what we are  
11 concerned with. The reason why this is particularly  
12 compelling is because when you look at those poor results  
13 from the multi-probe extraction method they cover off  
14 almost completely with the samples in Blackburn which  
15 returned poor results. So the samples of concern, almost  
16 all of the samples of concern that have been identified by  
17 both Dr Wright and Ms Veth and Dr Bedowle were processed  
18 using this extraction method, and that's a matter which  
19 we'll explore further in evidence today.

20  
21 THE COMMISSIONER: Yes.

22  
23 MS REECE: Among the number of other issues raised by  
24 Ms Veth and Dr Bedowle in their report is that there were  
25 misguided policies which were related to the interpretation  
26 of DNA profiles or designed even to avoid generating  
27 potentially complex DNA profiles, and that these policies  
28 resulted in very low level results in mixed DNA profiles  
29 being used for comparison purposes, apparent single source  
30 but incomplete and interpretable profiles not being  
31 interpreted, and samples stopped after quantification and  
32 reported as no DNA detected.

33  
34 Commissioner, you will recall that at the conclusion of  
35 their evidence on the present functioning of the lab,  
36 Dr Kogios and Ms Baker raised with the Commission the issue  
37 of the use of swabs with a wetting agent of 70 per cent  
38 ethanol used by officers for swabbing blood, particularly  
39 dried blood, by scientific officers and scenes of crime  
40 officers.

41  
42 QPS collection procedures at the time of Ms Blackburn's  
43 death required officers to swab liquid blood with dry swabs  
44 and to apply a wetting agent to a swab used on a dry stain.  
45 The swab taken from the concrete gutter in Boddington  
46 Street in the early hours of 9 February, just hours after  
47 the murder, returned a good profile, whereas the swabs

1 taken that night did not on the same location.

2

3 THE COMMISSIONER: Can you say that again, please.

4

5 MS REECE: A swab was taken, Exhibit A. It was taken -  
6 that's what it's referred to in the police material - it  
7 was taken in the early hours of 9 February, so not long  
8 after Ms Blackburn was attacked. It returned a good  
9 profile. It was taken when the blood was fresh, if I can  
10 put it that way. The swabs which were taken later that  
11 night after the passage of a day did not return good  
12 results. They are the now somewhat - well, one of them is  
13 the somewhat notorious now S14 sample, which returned a  
14 result of no DNA detected, which has caused significant  
15 concern given that it was really from what should be a good  
16 source of DNA.

17

18 The potential for the use of that wetting agent to have  
19 impacted on the ability for the lab to obtain a result from  
20 that swab will be explored in evidence with the experts  
21 today.

22

23 You will also hear Ms Veth and Dr Bedowle speak of the  
24 potential for degradation of DNA when a bloodstain is  
25 exposed to sun and heat over an extended period of time.

26

27 Commissioner, the reason I have taken you to those swabbing  
28 methods or testing methods is that there's also a concern,  
29 which will be developed further by my fellow counsel  
30 assisting Mr Jones with Professor Wilson-Wilde in her  
31 evidence tomorrow - well, it's not really another concern,  
32 it follows on from what Dr Kogios and Ms Baker raised, that  
33 the use of 70 per cent ethanol as a wetting agent or a swab  
34 to take a sample of blood, the use of that substance may  
35 not be best practice, with studies indicating that ethanol  
36 is less effective at lifting bloodstains from particular  
37 surfaces.

38

39 THE COMMISSIONER: So what we're talking about is using a  
40 swab, like a cotton bud, to pick up a part of a bloodstain  
41 or some other kind of stain, but relevantly here blood, and  
42 the need to wet the cotton bud so that, in the case of dry  
43 bloodstains, you wet the dry bloodstain and pick some up  
44 with the cotton.

45

46 MS REECE: Yes.

47

1 THE COMMISSIONER: And police had been using water, pure  
2 water, and then they switched to using an alcohol solution,  
3 70 percent ethanol and no doubt 30 percent pure water,  
4 that's what we're talking about?

5  
6 MS REECE: Yes.

7  
8 THE COMMISSIONER: Yes. Go on.

9  
10 MS REECE: That's correct. I'm not going to go to into  
11 what the expert evidence will be, that's for Mr Jones  
12 tomorrow, but there is an indication that in particular in  
13 relation to semi porous and porous surfaces like concrete,  
14 using that wetting agent really may not be the ideal form  
15 for collecting samples of blood.

16  
17 This issue will be explored in evidence as it relates to  
18 Ms Blackburn's case today, but again a number of matters  
19 which I've just spoken of, the potential for degradation,  
20 the use of swabs, it's really impossible for anyone to say  
21 with certainty whether one of these things, or both in  
22 conjunction, had an impact on the return of poor results  
23 from those swabs.

24  
25 THE COMMISSIONER: That is to say, is the effect of the  
26 evidence that the matters that you've just mentioned, and  
27 no doubt other matters, were capable of prejudicing the  
28 collection of DNA?

29  
30 MS REECE: Yes.

31  
32 THE COMMISSIONER: Or biological material containing DNA,  
33 and therefore capable of causing a result that there was  
34 nothing to profile, there was nothing to yield a profile,  
35 when had some other method been used there might have been  
36 a usable profile derived from the biological material that  
37 was available?

38  
39 MS REECE: Yes.

40  
41 THE COMMISSIONER: But we can't tell whether any of this  
42 actually had an effect in Ms Blackburn's case?

43  
44 MS REECE: That's right.

45  
46 THE COMMISSIONER: Yes.

47

1 MS REECE: Yes, and picking up on that, Commissioner, it  
2 hasn't --

3  
4 THE COMMISSIONER: I suppose, and you might think about  
5 this, the logical consequence, though, is that the results  
6 obtained from the samples submitted by police in that case  
7 were unreliable, is that right?

8  
9 MS REECE: The samples --

10  
11 THE COMMISSIONER: That is to say, one can't have  
12 confidence in them. They might accurately reflect what was  
13 there and what was available to be taken, notwithstanding  
14 that it was evidently a dried bloodstain on the concrete.

15  
16 MS REECE: Yes.

17  
18 THE COMMISSIONER: No effort would have derived any usable  
19 profile from that.

20  
21 MS REECE: From the lab's point of view.

22  
23 THE COMMISSIONER: From one end of the spectrum.

24  
25 MS REECE: Yes.

26  
27 THE COMMISSIONER: And at the other end of the spectrum the  
28 possibility is that incompetent methods were used and the  
29 result was not profile was obtained, although one could  
30 have been obtained, but we don't know which it is, which is  
31 why I say the result was unreliable because you can't have  
32 confidence in it.

33  
34 MS REECE: Yes.

35  
36 THE COMMISSIONER: Yes. Thank you.

37  
38 MS REECE: Commissioner, really picking up on that theme,  
39 on the evidence that we will tender today it hasn't been  
40 possible to establish that any one failure or combination  
41 of failures on the part of the lab did not contribute to  
42 the failure to obtain useful DNA evidence in the Blackburn  
43 case, but similarly it is not possible to say with any  
44 certainty that such failures did not.

45  
46 THE COMMISSIONER: I'm sorry, I'm just thinking out loud,  
47 Ms Reece, and it's not a concluded thought, I just put it

1 to you and to others so that they can consider it. The  
2 consequence is that the evidence in the end in relation to  
3 these samples, the expert evidence in the end, knowing what  
4 we know now, which will be developed by the experts you're  
5 calling, is that it's not possible to conclude that the  
6 offender's DNA was not on Ms Blackburn's body or clothing  
7 and it's not possible to conclude that Ms Blackburn's DNA  
8 was not present in the car of the person who had been  
9 suspected of the killing, that is to say, it was not  
10 correct to say that there was no DNA, it would have been  
11 correct to say that having regard to the methods employed  
12 it was not possible to say whether or not there was any DNA  
13 in relevant places. But you can answer that later and  
14 think about it because I'm just thinking out loud and I'm  
15 posing the question.

16  
17 MS REECE: No, thank you, commissioner.

18  
19 THE COMMISSIONER: About what the proper conclusion is to  
20 be drawn from the kind of evidence you're going to lead.  
21 We'll come back to that.

22  
23 MS REECE: Ultimately there will remain really at the end  
24 of that evidence, and having considered that question, the  
25 matter which will remain for consideration by you at the  
26 conclusion of the hearing, Commissioner, will be what  
27 findings you might make as to the functioning of the lab at  
28 the time and any possible recommendations that you might  
29 make.

30  
31 THE COMMISSIONER: Yes.

32  
33 MS REECE: And in considering the later, and the fact that  
34 this is now almost ten years ago, you'll no doubt be  
35 informed by the review of the current functioning of the  
36 lab by Dr Kogios and Ms Baker and any recommendations  
37 already in contemplation.

38  
39 Given the evidence relating to the apparent discrepancy in  
40 the extraction of DNA using the multi-probe extraction  
41 method in 2013, it may also be appropriate for  
42 recommendations to be made regarding further investigation  
43 of that issue by the lab given its potential to have  
44 affected samples beyond that in the case of Blackburn.

45  
46 Commissioner, those were my remarks I wished to make in  
47 opening and I'll now call Dr Bedowle, Ms Veth and

1 Dr Wright. Dr Wright is here in person. I'll just ask  
2 that the link be established with Dr Bedowle and Ms Veth.

3  
4 Perhaps we might swear Dr Wright.

5  
6 THE COMMISSIONER: Yes, I'll take them one by one as soon  
7 as I can see them on my screen.

8  
9 MS VETH: This is Johanna Veth speaking. I can see you.

10  
11 THE COMMISSIONER: Dr Bedowle, can you see and hear me?

12  
13 DR BEDOWLE: Yes, I can.

14  
15 <KIRSTY WRIGHT, affirmed and examined: [9.17 AM]

16  
17 <JOHANNA VETH, affirmed and examined: [9.17 AM]

18  
19 <BRUCE BEDOWLE, affirmed and examined: [9.17 AM]

20  
21 MS REECE: I just might ask if the sound could be  
22 increased, Commissioner. I note that Ms Veth and  
23 Dr Bedowle are very faint in the courtroom.

24  
25 THE COMMISSIONER: Let's see how that works.

26  
27 MS REECE: Yes. Ms Veth, perhaps if I can start with you.  
28 Can you hear me?

29  
30 MS VETH: Yes, I can.

31  
32 MS REECE: And Dr Bedowle, can you hear me?

33  
34 DR BEDOWLE: Yes, very well.

35  
36 MS REECE: I still think that's quite low, the sound,  
37 Commissioner.

38  
39 Ms Veth and Dr Bedowle, you've provided two reports to the  
40 Commission. The first is a review of DNA analysis  
41 undertaken in the Blackburn case dated 23 November 2022?

42  
43 DR VETH: That is correct, yes.

44  
45 MS REECE: And the second is a review of PowerPlex 21 and  
46 STRMix Vol.1.05 validations, of version 1.05 validations?

47

1 DR VETH: Yes, that's correct.  
2  
3 MS REECE: And that was dated 20 November 2022?  
4  
5 DR VETH: Yes.  
6  
7 MS REECE: Is there anything you wish to correct or change  
8 in those reports?  
9  
10 DR VETH: No, not to my knowledge.  
11  
12 MS REECE: Dr Bedowle?  
13  
14 DR BEDOWLE: No, I'm fine with both reports.  
15  
16 MS REECE: I tender first the review of DNA analysis  
17 undertaken in the Blackburn case, Commissioner.  
18  
19 **EXHIBIT #218 REVIEW OF DNA ANALYSIS UNDERTAKEN IN THE**  
20 **BLACKBURN CASE**  
21  
22 MS REECE: And the review of PowerPlex 21 and STRMix V1.05  
23 validation dated 20 November 2022.  
24  
25 **EXHIBIT #219 REVIEW OF POWERPLEX 21 AND STARMIX V1.05**  
26 **VALIDATION DATED 20 NOVEMBER 2022**  
27  
28 MS REECE: Dr Wright, you've also provided reports to the  
29 Commission?  
30  
31 DR WRIGHT: Yes.  
32  
33 MS REECE: And I believe it's actually an undated document  
34 but it was provided in November of this year?  
35  
36 DR WRIGHT: Correct.  
37  
38 MS REECE: And it is the Review of Blackburn DNA analysis  
39 for the Commission of Inquiry into Forensic DNA testing in  
40 Queensland?  
41  
42 DR WRIGHT: Yes.  
43  
44 MS REECE: And it's authored by you and it says version 2  
45 at the bottom?  
46  
47 DR WRIGHT: Correct.



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

MS REECE: And you also provided an addendum report on 18 November 2022 title 'Addendum report review of Blackburn DNA analysis'. Those two reports, is there anything that you wish to add or amend in relation to them?

DR WRIGHT: No, there's not.

MS REECE: Commissioner, I tender the review of the Blackburn DNA analysis by Dr Wright.

**EXHIBIT #220 REVIEW OF THE BLACKBURN DNA ANALYSIS BY DR WRIGHT**

MS REECE: And the addendum report.

**EXHIBIT #221 ADDENDUM REPORT OF DR WRIGHT**

MS REECE: Review of the Blackburn DNA analysis. Commissioner, I know it's probably slightly inconvenient but I've become aware that people really are having significant difficulty hearing. I wonder if there may be some merit in standing down briefly?

THE COMMISSIONER: All right, I'll adjourn until I hear from you.

MS REECE: Thank you.

**SHORT ADJOURNMENT**

THE COMMISSIONER: Ms Reece.

MS REECE: Thank you, Commissioner. Commissioner, thank you for that time. I understand that there has now been a different connection made with Dr Bedowle and Ms Veth and we should now both at the Bar table and at the Bench and in the courtroom be able to hear.

THE COMMISSIONER: All right, good.

MS REECE: Thank you, Dr Bedowle, Ms Veth and Dr Wright. We'll see if we can start your evidence again. I'd just taken you to each of your reports and when I opened the case to the Commissioner this morning I explained that the three of you had been able to meet and discuss your evidence previously and I understand that as a result of

1 that discussion you felt that you had reached a degree of  
2 agreement about the DNA testing or the results in the  
3 Blackburn case.

4  
5 DR WRIGHT: Yes, that's correct.

6  
7 DR BEDOWLE: I believe so, yes.

8  
9 MS VETH: Yes.

10  
11 MS REECE: There are a number of matters which remain  
12 outstanding but there was at least some ability to agree  
13 and form a common view?

14  
15 DR WRIGHT: Yes.

16  
17 DR VETH: Yes, I agree.

18  
19 MS REECE: Sorry?

20  
21 DR VETH: Yes, I agree with that.

22  
23 MS REECE: Okay, thank you. The approach I'm going to take  
24 with you now is just to talk to you initially about some of  
25 the samples which have been referred to perhaps as samples  
26 of concern or samples which didn't return DNA results in  
27 the Blackburn investigation. We might start with the  
28 samples taken from the road on the evening after  
29 Ms Blackburn was killed in Mackay. The sample S14, as  
30 you'd all be aware, is one which returned a DNA result, or  
31 a result of no DNA detected. I understand that this might  
32 be an opportunity for you to explain the differences in  
33 your opinion. Dr Bedowle and Ms Veth, could you perhaps  
34 explain to the Commissioner what your view is of the poor  
35 results, the explanation that might be put forward for the  
36 poor results from that swab of a bloodstain on the road at  
37 about perhaps 8 or 9 pm on the day after the murder?

38  
39 DR VETH: Certainly I can take that question. So there are  
40 a couple of factors that may be in play here. One may be  
41 that the DNA has degraded during the day. I understand  
42 that it was a hot and sunny day. There is a possibility  
43 that one factor in the inability to obtain DNA from the  
44 sample could be environmental from the sunlight, for  
45 example, and the heat. Another factor may have something  
46 to do with the surface that the blood was sitting on. It  
47 may be (indistinct) associated with the concrete or any

1 matter that is sitting on top of the concrete in between  
2 the concrete and the blood that may have inhibited the DNA  
3 profiling reaction, thus causing inability for DNA  
4 profiling results to be obtained. We also had concern, we  
5 had some concerns about the possibility that the extraction  
6 method that was used for this particular sample may also be  
7 a factor. Unfortunately we cannot say with any certainty  
8 which of these factors or indeed if a combination of these  
9 factors has resulted in the inability to obtain DNA  
10 profiling results from this particular sample.

11

12 MS REECE: And that extraction method that you're referring  
13 to, that's the issue which you've discovered as between the  
14 results from the Maxwell extraction method and the  
15 multiprobe extraction method?

16

17 DR VETH: That is correct, yes.

18

19 MS REECE: I'll take you to that issue in due course, and  
20 that will be the three of you can talk to that evidence  
21 when we get to that. The reason I'm using the example of  
22 blood now is for exactly the reasons, Ms Veth, that you've  
23 just outlined, that for some of these samples there may be  
24 a number of different explanations for why a result wasn't  
25 obtained. With the blood on the road, I've just explained  
26 to the Commissioner that at the time, and in fact I  
27 understand it's still the case, QPS scientific officers and  
28 scenes of crime officers who attended crime scenes where  
29 there were bloodstains or suspected bloodstains would use a  
30 wetting agent on a swab, a wetting agent of 70 per cent  
31 ethanol. We're going to hear some expert evidence tomorrow  
32 about the use of such swabs. With a dry swab with the  
33 ethanol being applied to it, does that raise any concerns  
34 for either of you in relation to the potential impact on  
35 the ability of that swab to pick up a bloodstain from a  
36 porous surface?

37

38 DR VETH: I understand that swabs treated with significant  
39 ethanol have poorer recovery of bloodstaining, and I also  
40 understand that there has been some research that has  
41 determined that the ability to obtain DNA - that there's  
42 less DNA recovery from swabs that have been treated with 70  
43 per cent ethanol. Again these could be factors in why this  
44 particular sample was reported as no DNA detected. And  
45 again, we can't be sure whether this or a combination of  
46 the other factors that I've already mentioned are all or  
47 partially in play here.

1  
2 MS REECE: Dr Bedowle, did you want to add anything to  
3 that?

4  
5 DR BEDOWLE: Only that we don't know for sure because I  
6 would say both Ms Veth and I haven't done studies actually  
7 trying to recover DNA with 70 per cent ethanol, it just  
8 isn't the standard or typical method that's been used in  
9 crime scene collection.

10  
11 MS REECE: All right, thank you. What you've then  
12 outlined, Ms Veth and Dr Bedowle, is a number of matters  
13 which are, if I can say, extraneous to the lab, that is  
14 matters which may have impacted on the samples prior to the  
15 lab processing them, that is the degradation?

16  
17 DR BEDOWLE: Yes, that's correct.

18  
19 MS REECE: And there is also now this extraction method  
20 issue which is fair and square under the responsibility of  
21 the lab?

22  
23 DR VETH: Correct.

24  
25 DR BEDOWLE: Yes.

26  
27 MS REECE: Dr Wright, I understand that while you feel it's  
28 correct to highlight other possibilities like degradation,  
29 the use of swabs and extraction methods used, your position  
30 is that it's more likely that the samples or some of the  
31 samples provided anyway, and I'll get you to say  
32 specifically whether it's one of these, whether the samples  
33 provided poor profiles due to processes in the lab? And I  
34 think by that you're talking about the (indistinct) K  
35 incident?

36  
37 DR WRIGHT: Yeah, I agree with Dr Veth and Dr Bedowle that  
38 there are other reasons that could have provided a poor  
39 profile from what we've seen. I looked at two other  
40 samples that were collected from that location on that day,  
41 samples S1 and S10 were collected on the footpath just near  
42 that location and that was relating to a previous  
43 bloodletting event. They both provided good quality  
44 profiles and that's why I'm leaning away from the  
45 possibility of DNA degradation if those earlier samples  
46 from the earlier event obtained profiles. And also several  
47 years working in the Queensland Health forensic biology lab

1 as a technician and as a reporting scientist, we get  
2 samples in from mid-Queensland and North Queensland where  
3 the weather is very hot and humid and it has been my  
4 expectation based on that experience to be able obtain  
5 profiles even from that kind of environment. We're simply  
6 left with a question mark over the reliability of these  
7 results, whether it was the way they were collected, is  
8 there some kind of inhibitor, or is it the processes in the  
9 lab? So my position is the results that were presented for  
10 those samples are potentially unreliable.

11

12 MS REECE: It's not possible to say with any certainty  
13 though what was impacting on those results, is it?

14

15 DR WRIGHT: Correct.

16

17 MS REECE: The only remedy really left with a sample like  
18 that would perhaps be a re-extraction from a remnant?

19

20 DR WRIGHT: Potentially, and that depends on what the cause  
21 of the poor profiling results are. If it is an issue with  
22 the extraction method, that issue may have caused the DNA  
23 to be degraded or to have been lost in that first  
24 extraction step. So that's a possibility that can't be  
25 excluded either, if those samples are retested they may  
26 provide poor profiles or no profiles at all. So yeah,  
27 we're simply left with a question mark unfortunately, in my  
28 opinion.

29

30 MS REECE: The evidence of Officer Geesu, G-e-e-s-u, who  
31 was the first scenes of crime officer on the scene, or the  
32 first scenes of crime officer who took photographs and took  
33 swabs, his evidence was that when he arrived at the scene  
34 there'd been a light shower of rain and it was after that  
35 that he took a swab from the gutter, which was a swab which  
36 returned a good profile. Does the advent of rain during  
37 the day have any bearing on your evidence about the results  
38 from this particular swab?

39

40 DR WRIGHT: So the DNA profiling processes that are used by  
41 forensic labs and the methods that were used by the  
42 Queensland lab are incredibly sensitive. They can pick up,  
43 you know, very small numbers of cells, you know, 10, 11  
44 cells. I saw a picture of S14 or the location from where  
45 S14 was collected and there was a very large amount of  
46 biological material present. So in my opinion even if  
47 there had been a light shower there still should have been

1 more than enough biological material to be able to obtain a  
2 DNA profiling if all of the processes, collection processes  
3 and lab processing methods were working accurately.  
4

5 MS REECE: All right. Ms Veth, do you have a different  
6 view or anything that you want to say about the advent of  
7 rain and its potential impact on the sample?  
8

9 DR VETH: No, I'd agree with Dr Wright on this matter.  
10 It's a large area of bloodstaining. The rain might have  
11 been a factor we're talking about (indistinct) trace  
12 amounts of DNA but I don't think that's the case here.  
13

14 MS REECE: Dr Wright has just referred to a number of  
15 samples which it's apparent became something of a red  
16 herring early in the investigation as there was a trail of  
17 blood drops leading to a different location. You're aware  
18 of that evidence? That's the other blood droplets in the S  
19 series which she's just referred to.  
20

21 DR VETH: Yes.  
22

23 MS REECE: The point that Dr Wright is making is that  
24 profiles were able to be obtained from some of those  
25 droplets of blood on the concrete which had been there for  
26 some time. I understand Dr Wright is using that to support  
27 her theory that degradation wasn't a factor, or wasn't a  
28 major factor, in why there's no result obtained from this  
29 swab. In your mind is that a reasonable explanation, a  
30 reasonable rebuttal of your theory of degradation?  
31

32 DR VETH: Yes, I mean it's difficult at this distance to  
33 say for sure which of these factors had been the primary  
34 factor, if any of them, the primary factor for the failure  
35 to obtain DNA from this particular sample. We felt that we  
36 needed to raise all of the possible factors in our report.  
37 The ability to obtain - also I wasn't really aware of the  
38 significance of those particular samples that had DNA from  
39 another person in them when the report was being written.  
40 I am aware of that now. Yes, I mean this does tend to  
41 point to perhaps something in the laboratory but in all  
42 fairness we cannot ignore all of the other factors that may  
43 be in play here.  
44

45 THE COMMISSIONER: Dr Veth, do I understand that your  
46 conclusion, and that of Dr Bedowle I think, to be that  
47 while you have to give due weight to Dr Wright's experience

1 in obtaining profiles from samples obtained from  
2 environments where the degrading features that are present  
3 in this case also appeared, you're not prepared to exclude  
4 environmental factors such as heat, humidity as well as the  
5 concrete and some other matter that might be on the  
6 concrete as factors that led to no profile being obtained,  
7 that is to say you would defer to the point being made that  
8 that would reduce the likelihood of environmental factors  
9 being significant but not to the point that you're prepared  
10 to exclude them?

11

12 DR VETH: Yes, I wouldn't want to exclude them altogether,  
13 primarily because it's possible that all of these factors  
14 had some --

15

16 THE COMMISSIONER: Cumulative effect?

17

18 DR VETH: Exactly, exactly. Or with further research or  
19 further investigation we may determine that there was one  
20 factor that overwhelmingly led to the failure to obtain  
21 results. At this point because that would be quite a large  
22 investigation we just can't establish that right at this  
23 moment.

24

25 THE COMMISSIONER: Yes. I think you'd agree with that,  
26 Dr Wright, is that right?

27

28 DR WRIGHT: Yes, I do.

29

30 THE COMMISSIONER: Go ahead, Ms Reece.

31

32 MS REECE: Commissioner, if it assists I'm going to take  
33 the witnesses through the samples of concern, talk about  
34 the potential explanation for results.

35

36 THE COMMISSIONER: Yes, go ahead.

37

38 MS REECE: And then turn to this extraction method in more  
39 detail as it does loom large in the discussion now of the  
40 evidence.

41

42 THE COMMISSIONER: Yes.

43

44 MS REECE: If we can turn to, there are two shirts which  
45 have been of some interest. One of course is the shirt  
46 that Shandee Blackburn herself was wearing at the time and  
47 there were samples taken of that shirt. There was also -

1 and I'll speak about this one first - there was a shirt at  
2 the scene which was referred to as the bloodstained T-shirt  
3 and again no DNA was detected in that shirt. Again what  
4 I'll do I'll start with you, Ms Veth, I'll ask you,  
5 Dr Bedowle, if you have any questions and then I'll come to  
6 you, Dr Wright.

7  
8 Ms Veth, if we turn to first of all the shirt at the scene.  
9 Can you explain to the Commissioner your view of what the  
10 possible reasons might be for the lack of a DNA result in  
11 that case, because as I understand it with that sample the  
12 nature of the stain itself might lend itself to a  
13 conclusion that it wasn't in fact blood?

14  
15 DR VETH: Yes, so this is the white (indistinct) T-shirt as  
16 I understand it.

17  
18 MS REECE: Yes.

19  
20 DR VETH: And the scientific officer who undertook the  
21 subsequent testing, or the bio screening of that shirt  
22 described the findings as a slow weak on the reaction, also  
23 described the staining on the shirt as dirty stains. A  
24 slow weak (indistinct) reaction can occur from the absence  
25 of blood and can occur on dirty fabric where there is no  
26 bloodstaining. So the conclusion that we reached is that  
27 it is quite possible that the staining is not actually  
28 blood. Some further testing could perhaps have been done,  
29 for example with a test known as Hematrace. But based on  
30 those notes of the scientific officers and the notes that  
31 he took during the bio screening we can't conclude that  
32 there is actually blood present in those samples.

33  
34 MS REECE: With the Combur test, Combur is the presumptive  
35 screening test, or one of the presumptive screening tests  
36 for blood. It does also react to rust, doesn't it?

37  
38 DR VETH: It reacts to quite a number of different agents  
39 such as rust - I'm trying to remember here - some plant  
40 materials, some paints. So while it is reasonably specific  
41 there are some substances that do not react, that cause a  
42 positive reaction and the positive reactions can occur in  
43 the absence of blood.

44  
45 MS REECE: Dr Bedowle, is there anything you wanted to add  
46 to that or to say about what Ms Veth has just said?

47



1 DR BEDOWLE: Only that presumptive tests are just what they  
2 are, they don't confirm the presence of any material and  
3 usually there is a subsequent test called a confirmatory  
4 test for actually obtaining DNA to support that it would be  
5 blood. So we always have to be cautious when we're looking  
6 at samples of unknown origin, and especially with the  
7 descriptions, on making a positive assignment to them being  
8 blood at this stage.

9  
10 THE COMMISSIONER: Dr Bedowle, is another way to describe  
11 the significance of a positive presumptive test that a  
12 positive result to a presumptive test means that the  
13 presence of blood cannot be excluded?

14  
15 DR BEDOWLE: That is correct.

16  
17 THE COMMISSIONER: Thank you.

18  
19 DR BEDOWLE: But it doesn't mean that it is there.

20  
21 THE COMMISSIONER: Exactly, that's right. Yes, thank you.

22  
23 MS REECE: Dr Wright, I see you've been nodding during  
24 Ms Veth and Dr Bedowle's evidence. Do you agree with what  
25 they've said about the T-shirt?

26  
27 DR WRIGHT: Yes, I agree with all of their opinions. I  
28 think that what has led to I guess some concern is the way  
29 that the scientific officer labelled three or four of those  
30 samples as being blood soaked, but I agree 100 per cent  
31 with Dr Veth and Dr Bedowle, we simply don't know if that  
32 was blood or not.

33  
34 MS REECE: So some of that classification at the scene, is  
35 what you're saying that that has led to perhaps a  
36 misapprehension of in fact what those exhibits might have  
37 been or what evidence there was to support calling them  
38 blood at the time that they were sampled?

39  
40 DR WRIGHT: I rely on the experience of the Queensland  
41 Police scientific officers and I know this particular  
42 scientific officer has or had 20 years of experience. So  
43 for me if a scientific officer is willing to label  
44 something blood soaked, you know, I would trust that that's  
45 based on experience. But I still absolutely agree, we  
46 simply don't know, particularly given the DNA results from  
47 these samples, if it really was blood or not.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

MS REECE: All right. Perhaps then that T-shirt can be put to one side in one sense in that it doesn't appear to be one where there is any real disagreement. In any case I think it's fair to say is it, Ms Veth, that that one was - that that T-shirt, samples from that were part of the batches which may have been impacted by the multiprobe extraction?

DR VETH: Yes, that's correct.

MS REECE: So that provides again that potential reason, if there was biological matter on that T-shirt, for the lack of results in relation to it, but the indications are not as strong, for example, as that bloodstain on the concrete?

DR VETH: That's correct, yes, yes. And also I'd like to point out that, just picking up on something that Dr Wright said, when the samples were described as blood soaked but the description of the shirt doesn't suggest that it had the appearance of bloodstaining, (indistinct words) the way those samples were described.

MS REECE: Yes, and we'll come to that perhaps in relation to the car as well. But if I can now turn to Ms Blackburn's own clothing. I spoke before about her shirt but of course there was also trace DNA tape lifts taken across two pieces of her clothing in particular. If we start with the shirt, Ms Veth. You in your report talk about potential inhibitor on a DNA result being the dye in the fabric. Could you explain that to the Commissioner?

DR VETH: Certainly. This is a well-known issue with fabric samples that if you take a cutting of the fabric the dyes in the fabric can inhibit the DNA profiling reaction. This shirt was black in colour and that was one of the theories that we posited as a reason why the DNA profiling results from these samples were less than what we would expect from bloodstaining. And we also considered that the trace DNA samples that were taken from the shirt were taken using a tape lift. So with a tape lift the dye is no longer a factor because the tape lift just lifts the (indistinct words), it doesn't - there's no fabric in the actual DNA extraction. These trace samples performed very well in comparison to the blood samples, so we had to consider whether because the dye in the fabric that was causing some sort of inhibition in the DNA profiling

1 reaction for the bloodstain.

2

3 MS REECE: You've also raised a concern, it perhaps goes to  
4 the mode of sampling, that is that the samples of the shirt  
5 were taken around the points of incision, that is whether  
6 the knife went through the shirt in the attack on  
7 Ms Blackburn. If you're looking for an offender's DNA is  
8 the point of the incision the best place to look for that  
9 DNA?

10

11 DR VETH: No, so this - an investigator might hypothesise  
12 that perhaps the offender may have cut him or herself  
13 during the commission of the crime and, if so, blood may  
14 have ended up on the shirt as well as blood from the  
15 victim. If that's the case it's useful to look for areas  
16 of bloodstaining perhaps away from the penetration point,  
17 so discrete from the penetration point. But if no such  
18 staining is visible then I can understand why perhaps  
19 samples were taken from other areas of the shirt that were  
20 perhaps closer to the penetration point.

21

22 MS REECE: Dr Bedowle, did you want to add anything to what  
23 Ms Veth has just said?

24

25 DR BEDOWLE: Only in the sense that we don't know if there  
26 was inhibition on the shirt. Some of the tests that are  
27 done to determine the quantity of DNA also give an  
28 indication if there's a potential inhibitor. Those tests  
29 didn't support that there was inhibition in that analysis,  
30 however not all inhibitors will always show up. The best  
31 way to resolve that question is to actually take a cutting  
32 of the shirt that wasn't stained and add some known DNA to  
33 it and see if there's inhibition. So we can debate these  
34 questions. There is a simple way to resolve it if one is  
35 interested.

36

37 MS REECE: And that's really resampling of the exhibit  
38 itself?

39

40 DR BEDOWLE: In part, it's also just testing on the  
41 hypothesis. I mean it's reasonable to hypothesise  
42 inhibition given the tape lift versus extracting from the  
43 cloth. But the best way to test this is actually to take  
44 some cloth and add some known DNA to it that has nothing to  
45 do with the case and see if that's inhibited. If it is  
46 that strongly supports inhibition as a cause for the loss  
47 of signal or DNA typing. If it doesn't support inhibition

1 then it tends to favour something else like the laboratory  
2 processes may have had a greater impact on the result. Or  
3 the third is there's no DNA there to begin on the ones that  
4 were sampled.

5  
6 THE COMMISSIONER: Dr Bedowle, in your experience have  
7 scientists in labs testing for DNA undertaken examinations  
8 of the kind that you've described, that is the work that's  
9 done here as I've understood it, is work to test samples  
10 strictly so-called, the testing process is applied to  
11 whatever sample comes through the laboratory? What you're  
12 proposing is an approach in which a scientist who gets the  
13 negative results decides to conduct an experiment of the  
14 kind that you've described to exclude a potential cause of  
15 absence of a profile with a view to focusing upon the true  
16 answer to the lack of a profile. Is that something that in  
17 your experience scientists in DNA laboratories have done?  
18

19 DR BEDOWLE: Some have done it, I wouldn't say it's  
20 something that's done routinely because of the workload of  
21 labs and (indistinct) processing and it always depends on  
22 whether there were some other samples that were probative  
23 to give information on whether you need to process another  
24 sample that gave low results. But if you had a shirt,  
25 whether it was an incision and so you expect a lot of blood  
26 to be on it from the victim, that that might saturate the  
27 shirt and you didn't get a result from that, that might  
28 lead some labs to do that and it has been done in the past.  
29

30 THE COMMISSIONER: In order for that to be able to be done  
31 or able to be considered to be done even, it would follow  
32 that at some point a scientist must be in possession of  
33 knowledge of the whole relevant context of the case and of  
34 the nature of the primary sample, the shirt, where it was  
35 found and what it was said to be covered in, so that kind  
36 of thinking can be applied. That must be so, that a  
37 scientist must have command of the investigation from the  
38 lab's point of view?  
39

40 DR BEDOWLE: Yes, in fact this is a critical point of what  
41 people try to do to avoid bias in their decision process  
42 and it's a balance between knowing information that helps  
43 you assess process such as you've just indicated, which I  
44 agree whole-heartedly, and knowing things that might affect  
45 your ability to objectively assess the evidence. So for  
46 instance if someone says, you know, the investigating  
47 officer says, "We know it's this person and we just need a

1 DNA profile to nail him", that would be inappropriate  
2 information. But the information of where the sample may  
3 have been taken from or the conditions in the environment  
4 and such, those could be actually germane to making a  
5 judicious decision on how to proceed.  
6

7 THE COMMISSIONER: Dr Wright, have you seen that kind of  
8 approach being undertaken?  
9

10 DR WRIGHT: Yes, yes.  
11

12 THE COMMISSIONER: Where have you seen that?  
13

14 DR WRIGHT: In literature.  
15

16 THE COMMISSIONER: Yes, thank you. By the way, would you  
17 be able to give me some references to that kind of  
18 literature?  
19

20 DR WRIGHT: Yes.  
21

22 THE COMMISSIONER: Just if you could email it to the  
23 Commission, thank you. Yes, Ms Reece.  
24

25 MS REECE: Thank you, Commissioner. Just picking up on  
26 that point that the Commissioner's just been developing  
27 with you, Dr Bedowle, as I understand it there's really a  
28 single criticism of the reporting scientist in  
29 Ms Blackburn's case which is in your joint report with  
30 Ms Veth, which is that had he perhaps been more curious  
31 about some of these results that there might have been an  
32 opportunity for either further investigation at the time or  
33 an approach which sought at least to understand those  
34 results in a more timely way. That kind of curiosity is  
35 assisted by exactly that case context that you've just  
36 spoken of, isn't it?  
37

38 DR BEDOWLE: Well yes. I mean to be informed helps you  
39 make better decisions. If a system is such that you don't  
40 have that information by working closely with the crime  
41 scene officers or having the detailed information and you  
42 only have say a cutting that's sent to you, it becomes more  
43 difficult to be inquisitive. I don't know if I can put  
44 that on the scientist or put that on the system. So we put  
45 more towards the system than to the individual under the  
46 circumstances how this lab processes case work.  
47

1 MS REECE: Ms Veth, that really ties in to exactly how  
2 you've articulated it in the report, that the workflow and  
3 the pattern of reporting samples as they came through  
4 contributed significantly to that state of affairs?  
5

6 DR VETH: The initial reporting is sample by sample so  
7 there doesn't seem to be any consideration of the results  
8 in the context of the case, or even perhaps in the context  
9 of what type of sample it is. So we don't lay this  
10 criticism at the feet of the reporting scientist as such.  
11 It's possible that he didn't consider the whole case as a  
12 whole until some months, perhaps years after these results  
13 were initially reported. At that point it becomes quite  
14 difficult to think about how you're going to retest these  
15 samples or what could have gone wrong with anything, what  
16 could have caused these results.  
17

18 DR BEDOWLE: If I may add to that, it did appear from our  
19 investigation that the lab was reporting results as they  
20 came off the process and that's usually a very poor way of  
21 handling it. One should get a whole case together, assess  
22 everything before they make a final report. And so this  
23 process of responding quickly contributes to a process  
24 where you wouldn't think about the case, you wouldn't be  
25 informed about all the aspects of the case as you're  
26 analysing it.  
27

28 MS REECE: Understood. Dr Wright, is there anything you'd  
29 like to add to that discussion?  
30

31 DR WRIGHT: I agree with everything both of the experts  
32 have said. We all agree that the several profiles obtained  
33 from Shandee Blackburn's shirt were really poor quality,  
34 surprisingly poor. That wasn't evident in the DNA  
35 statement. The DNA statement revealed that it was a single  
36 contributor profile that matched Shandee Blackburn. It  
37 wasn't until I looked at the actual raw results, the  
38 electropherogram, that you could see the actual - while  
39 each of the pieces of DNA were amplified, it did show,  
40 whether it's degradation or inhibition, really a quite poor  
41 and unexpected profile. In relation to looking at the  
42 samples in the context of the case, I agree that - and I  
43 just want to highlight none of my criticism has been  
44 towards the reporting scientist or the peer reviewer, it's  
45 directed at the lab's processes. I think that's where the  
46 concern lies, with the processes within the lab.  
47

1 MS REECE: On that note perhaps, Dr Wright, you would agree  
2 at this juncture, having reviewed the material, that  
3 there's really no evidence to suggest a deliberate  
4 concealment of evidence on the part of the lab or  
5 deliberate concealment of issues in the lab impacting on  
6 samples, for example?  
7

8 DR WRIGHT: Not in relation to this specific case. When I  
9 looked at the case it was clear that the reporting  
10 scientist definitely did not take shortcuts. They really,  
11 you know, went to the nth degree to try to obtain DNA  
12 profiles. I guess where there is some concern for me is,  
13 and I believe we'll be discussing it later, is with some of  
14 the issues surrounding the implementation of PowerPlex 21  
15 and STRmix and some of the concerns that were observed in  
16 those validations, and yet the methods were implemented and  
17 used on case work samples, including for this case. That's  
18 where I have a concern. I wouldn't say it's deliberate  
19 concealment but I would say that it's reckless.  
20

21 MS REECE: And your concern there, and thank you because I  
22 was going to ask you what exactly you meant by recklessness  
23 which is in your introductory comments. Your concern there  
24 is that after the introduction of PP21 and STRmix the lab  
25 changed its processes again, but then after doing so didn't  
26 go back and retest the samples which had been processed in  
27 the meantime, is that the issue that you're raising?  
28

29 DR WRIGHT: The issue I'm raising is yes, there appears to  
30 be some issues with the way that they implemented the  
31 method and I believe that they should have been gone back  
32 and either retested or reinterpreted some of the evidence,  
33 or quite a lot of the evidence, in the Blackburn case. I  
34 think the way that they were presented, particularly the  
35 mixture, I'm sure we'll get to that later, L45 I believe  
36 was incorrectly reported.  
37

38 MS REECE: All right. We can probably, as you've already  
39 identified, we can probably consider that when we talk  
40 about those two validations and what occurred thereafter.  
41 But just before we move on from the shirt itself, Ms Veth,  
42 the samples from the shirt again fall into the batches  
43 which were extracted using the Multi-probe extraction  
44 process, don't they?  
45

46 DR VETH: That's correct. The first batch of samples from  
47 that shirt were processed using the Multi-probe. It was

1 (indistinct) subsequent batch that was processed using the  
2 Maxwell.

3  
4 MS REECE: And is there a difference between the results  
5 observable between those two batches?

6  
7 DR VETH: It's very difficult to be sure because the  
8 datasets are reasonably small. The second batch does  
9 appear to have slightly better quantitation results. The  
10 actual results from, the actual DNA profile results are  
11 still lowish, but they're still not quite what I would  
12 expect from bloodstained fabric, but again we're dealing  
13 with factors that may be working and causing a cumulative  
14 result so it's really difficult to path way exactly what is  
15 happening with these two sets of samples.

16  
17 MS REECE: Dr Bedowle, did you want to add anything to  
18 that?

19  
20 DR BEDOWLE: No, I think Ms Veth covered it well.

21  
22 MS REECE: Dr Wright, with the shirts, what's your view of  
23 the theory relating to inhibition by the dye?

24  
25 DR WRIGHT: Yeah, I think Dr Bedowle did some analysis on  
26 the internal positive controls for those samples and while  
27 there was no indication of inhibition, that doesn't mean  
28 that there wasn't another kind of inhibitor that just  
29 didn't show up on the internal positive control, so we're  
30 just left with - you know, we don't know whether it was a  
31 dye and we don't know if it was poor processes within the  
32 lab.

33  
34 MS REECE: Okay. Before we move on from those samples and  
35 go to the car, you express in your report a concern that  
36 the extent of the Proteinase K reagent, this particular  
37 batch of or lot of Proteinase K which appears to have  
38 created much higher PH levels in some samples and thereby  
39 impacting on their results, what is the state of your  
40 evidence on the impact of that?

41  
42 DR WRIGHT: Yes. So the laboratory identified in an  
43 opportunity for quality improvement 34043 which was raised  
44 on 22 March, that there was a poorly performing batch of  
45 Proteinase K. Proteinase K is used in that first stage,  
46 the extraction stage. Proteinase K is used to break down  
47 the cell wall which will release the DNA and it will also



1 help in deactivating nucleases. Nucleases are contained  
2 within the cell which, once they're released, will start to  
3 degrade any DNA.

4  
5 Importantly also with the extraction method used by  
6 Queensland Health, it's a PH dependent method. So if the  
7 solution is high in PH, it means that the DNA won't bind to  
8 these little silica magnetic beads while everything is  
9 being washed through, so potentially the DNA may be washed  
10 through and removed. In that OQI 34043 it states  
11 categorically that only one batch of Proteinase K was  
12 affected, and they did test that and found that it was I  
13 think PH14, where it should be PH7 or 8.

14  
15 I requested further documentation from the Inquiry to see  
16 if batches used on the evidence of concern that we've been  
17 discussing, if they were tested as part of this OQI, and to  
18 be clear the batch that they identified as the defective  
19 batch was not used on any of the Blackburn evidence, but  
20 there's no documents supporting that the lab tested the  
21 Proteinase K batches that were used on the Blackburn  
22 evidence and I think that's probably because it was used  
23 prior to the OQI being revealed and probably because all of  
24 the Proteinase K in those batches had already been  
25 consumed, so they probably didn't have an opportunity to  
26 test for it. So I can't say for sure that that was an  
27 issue or not.

28  
29 The laboratory identified in that OQI that a faulty  
30 dishwasher may have been the cause of this defective batch  
31 because of caustic detergent contaminating glassware and  
32 potentially a measuring cylinder used to make up the  
33 Proteinase K. I think we all agree that it would be  
34 unusual for a faulty dishwasher to just effect one  
35 measuring cylinder and one batch of Proteinase K. The  
36 faulty dishwasher, there's really no real investigation  
37 that was conducted on that. We requested that information  
38 also so we could evaluate that possibility and it was  
39 really quite deeply concerning that the laboratory really  
40 doesn't have much information at all about that particular  
41 issue and they didn't raise an OQI.

42  
43 So I'm left with I don't know if faulty reagents were the  
44 cause of some of these poorly performing results or if it's  
45 the issue that Dr Veth identified with the extraction  
46 methods, or if it's a series of, as we discussed, DNA  
47 degradation, inhibition and so forth. But I look at it in

1 the context of the entirety of the evidence and this is  
2 occurring in a lab that does have quality issues and I'm of  
3 the opinion that there's a genuine question mark about the  
4 reliability of the evidence due to possibly poorly  
5 performing processes.

6  
7 MS REECE: That's a general statement though?

8  
9 DR WRIGHT: Yes.

10  
11 MS REECE: If I could take you though to the Proteinase K.  
12 You'd agree, wouldn't you, with either your concern now is  
13 one which exists in an absence of evidence rather than  
14 anything which directly informs you that there was this  
15 impact which you had previously suspected, given the  
16 material that you had at the time?

17  
18 DR WRIGHT: Correct. There's no evidence to say it  
19 definitively affected the Blackburn samples, we're just  
20 left with a large range of samples with issues. So, no,  
21 there's no evidence to support that directly.

22  
23 MS REECE: All right. And with the dishwasher, while there  
24 wasn't an OQI raised in relation to it, it is referred to  
25 in the Proteinase K OQI itself, isn't it?

26  
27 DR WRIGHT: Yes.

28  
29 MS REECE: That's where it's identified?

30  
31 DR WRIGHT: Yes.

32  
33 MS REECE: And there's a note at the end that action was  
34 taken to ensure that the dishwasher was serviced?

35  
36 DR WRIGHT: Yes, I believe that it ended up being removed  
37 from service and they got a quote from another one. There  
38 was another document to say on - there was an email on  
39 26 March 2013 that the week prior one of the operational  
40 officers noticed pooling of water underneath the  
41 dishwasher, which further suggests that it was, you know,  
42 malfunctioning or not working correctly.

43  
44 MS REECE: Before you said that you thought that the three  
45 of you agreed - forgive me if I'm misquoting you and do  
46 correct me - you said you thought that you all agreed that  
47 it was unlikely that a faulty dishwasher would have only

1 had an impact on one vial. I'm just going to put that to  
2 Ms Veth and Dr Bedowle.

3  
4 This issue with the dishwasher and its potential impact on  
5 the lot of Proteinase K which caused this particular batch  
6 such problems, Dr Bedowle and Ms Veth, Ms Veth perhaps if  
7 you could answer initially. What do you think we can  
8 understand from the role of the dishwasher in this  
9 incident?

10  
11 DR VETH: I don't think we can conclude anything. As we  
12 pointed out in our report the investigation, the  
13 investigation documents into the Proteinase K issue lacked  
14 in detail and didn't contain some pretty standard trouble  
15 shooting. The dishwasher, it was almost like it was thrown  
16 in as a (indistinct words) maybe this had an effect on this  
17 Proteinase K, but we just feel lack of - if there had been  
18 something significantly wrong with the dishwasher that was  
19 causing detergent to build up on the glassware that is used  
20 in the lab, that there would have been more far reaching  
21 consequences that surely the lab would have spotted.

22  
23 I mean we were disappointed that there was no actual  
24 investigation exploring this. So we're really left with  
25 the dishwasher (indistinct words) almost did it actually  
26 had some effect. I guess we're inclined to think that  
27 there are other avenues that perhaps provide a better  
28 explanation for why one vial of Proteinase K was defective,  
29 rather than a number of reagents that are used in the  
30 laboratory. Dr Bedowle, what do you think?

31  
32 DR BEDOWLE: I only say we usually try to use (indistinct  
33 words) when we try to explain things and when (indistinct  
34 words) uncertainty because the documentation and the review  
35 wasn't sufficient to point to the dishwasher as a culprit  
36 for this, a simpler explanation might be someone just  
37 prepared that particular lot, that particular lot of  
38 Proteinase K, incorrectly and since it seems to be isolated  
39 that may be a more plausible explanation. The dishwasher  
40 may have been bad. Replacing it may have been a good  
41 thing. I agree with Ms Veth that if there had been a  
42 problem since the lab was unaware of it till the  
43 Proteinase K actually went bad, we would have expected to  
44 see other events might have been documented. So from a  
45 simplicity point of view I would lead towards a poor  
46 preparation of the sample. Can't prove it but that's what  
47 I would lean towards.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

MS REECE: With this quality investigation, and I'll come back to you in a moment, Dr Wright, but with this quality investigation, Ms Veth, really the only two even potential explanations that were considered were the fact that the batch, the lot had actually expired prior to use?

DR VETH: Yes, that was considered, but I don't actually think that even documented any of the investigation of document.

MS REECE: No, there's (indistinct words).

DR VETH: That would be in an email trail and it seems germane to the quality investigation, so I can't account for why it wasn't actually included in the actual quality explanation document. And also the point that Dr Bedowle raised, who made up the aliquots from this vial of Proteinase K. You know, the details around how the aliquots were created also was not included in the investigation. We understand there were three vials of the particular lot of Proteinase K. The other two vials apparently worked as expected, which is why we're leaning towards something specific about the way the aliquots were created from this particular vial, but again none of this was actually in the investigation document.

THE COMMISSIONER: You're saying you saw no evidence that anybody even looked at how the bad batch was put together?

DR VETH: That's correct, there's no detail around the aliquots that were taken from that vial, how the agent was made up (indistinct) to the laboratory.

THE COMMISSIONER: And, secondly, while it was hypothesised that the dishwasher might have had something to do with it, because it had malfunctioned in some other evident way anyway, nobody investigated whether in fact the dishwasher had anything to do with it?

DR VETH: As far as we're aware there was no investigation as to the effects of the malfunctioning dishwasher.

THE COMMISSIONER: And that's the next point really, that if it had been the dishwasher leaving contaminating detritus, chemical detritus on glassware, all of you have said you would have expected there to have been other

1 significant consequences elsewhere in the lab, but there's  
2 no record of that having happened and there's no record of  
3 anybody having considered that point?

4

5 DR VETH: Correct.

6

7 THE COMMISSIONER: Thank you.

8

9 MS REECE: There's also no documentation about how long the  
10 dishwasher was taken off line, for example, or whether the  
11 corrective action in fact took place, it's really  
12 prospective at the time the OQI is finalised, isn't it?

13

14 DR VETH: Yes. Yes.

15

16 MS REECE: Dr Wright, is there anything you would like to  
17 add to that discussion about the (indistinct) investigation  
18 of this particular incident?

19

20 DR WRIGHT: Typically when there's poorly performing  
21 results or a quality concern a root cause analysis is  
22 conducted, that's quite standard, and that's a thorough  
23 investigation to work out what exactly has caused the issue  
24 and it's an opportunity to learn and improve, but also to  
25 really identify the scope of the issue, including the  
26 samples and the cases involved, and both for the dishwasher  
27 and the Proteinase K, both potentially are quite  
28 catastrophic issues. The quality investigation was really  
29 quite poor and I think that lends to a laboratory that has  
30 a poor quality culture.

31

32 MS REECE: And, Ms Veth, when you looked at the case file,  
33 one of the comments that you make about the DNA case file  
34 for Ms Blackburn is the lack of documentation around  
35 exactly this kind of issue which has arisen and is  
36 apparently relevant to the DNA case file of Ms Blackburn,  
37 but the level of detail provided on the case file was such  
38 that there was really, it was really inadequate, wasn't it,  
39 for a proper consideration of how that quality incident  
40 might have impacted on the results in her case?

41

42 DR VETH: For this particular OQI related to the  
43 Proteinase K, the document was in the case file and because  
44 only reference samples from the Blackburn case were  
45 effected by the Proteinase K, and because reference samples  
46 are not evidence samples, I was less concerned that the  
47 individual reference samples may not have been identified.

1 I actually can't recall. It was actually the other OQI  
2 that I had more concerns about, the forensic and  
3 (indistinct) data OUI. That was the one that raised more  
4 concerns for me, because it was very difficult to tell from  
5 the case file which samples were effected and, indeed,  
6 there were this Blackburn case samples, evidence samples  
7 that were effected. That one caused me more concern than  
8 considering the documentation that was present in the case  
9 file.

10  
11 THE COMMISSIONER: Sorry to interrupt you, Ms Reece.  
12 Dr Bedowle, in well run labs with which you've had  
13 experience is there generally a person whose primary  
14 responsibility it is to ensure that investigations of  
15 lapses in quality and proper procedure are investigated  
16 thoroughly?

17  
18 DR BEDOWLE: There should be a person or persons actually  
19 at different levels that are involved in the process to  
20 determine what was the root cause, then of course the  
21 corrective action. A good lab will also use a team of  
22 individuals to address that to come to a better conclusion.  
23 For example, in this lab they had a corrective action  
24 (indistinct) which was to assess the preservation of the  
25 agents later on, in the future, in case a similar situation  
26 arose, assuming that the dishwasher had an impact on the  
27 quality of the reagents.

28  
29 I wouldn't do it that way, if the dishwasher was the real  
30 culprit, I would go to the root cause and monitor the  
31 dishwasher so I wouldn't consume samples, or reagents that  
32 are costly then have to redo them if there was a problem  
33 with the dishwasher. So if a root cause points to one  
34 thing you want to try to correct it at that level and not  
35 at some subsequent level. Having dedicated people and a  
36 team of people involved can actually come up with these  
37 kinds of solutions to better equip the lab, so most labs  
38 have a process with a quality manager. We would also put  
39 quality people in part of the process or train people that  
40 are within the units to be aware of issues, to raise them,  
41 and then when an issue occurs, put members of that  
42 operating team not involved in the issue itself if possible  
43 on the solution of the problem.

44  
45 THE COMMISSIONER: And the core of that system would be  
46 that there would at least be a single person who, when such  
47 an issue arises, regards it as his or her primary

1 responsibility to get to the bottom of these issues rather  
2 than attending to other work?

3  
4 DR BEDOWLE: One would hope there'd be somebody that would  
5 organise and control that, yes.

6  
7 THE COMMISSIONER: Yes, thanks. Because I understand here  
8 with an issue like this it devolved upon whatever scientist  
9 happened to be allocated the task of considering the matter  
10 and pushing it in amongst his or her other duties?

11  
12 DR BEDOWLE: That wouldn't be the best way. The scientist  
13 who's involved should be the one that's aware, recognise it  
14 and then bring it forward as a quality incident that needs  
15 to be addressed at a global issue because most of these  
16 instances when they're a system, as this may have been, may  
17 effect others who may not be aware at the moment, so you  
18 want to immediately get it to somebody who can assess it  
19 and get the information out to as many people as possible  
20 within the laboratory system.

21  
22 THE COMMISSIONER: Yes. Dr Wright, do you want to add  
23 anything to that?

24  
25 DR WRIGHT: No, I don't.

26  
27 THE COMMISSIONER: Dr Veth?

28  
29 DR VETH: No.

30  
31 THE COMMISSIONER: Thank you. Yes, Ms Reece.

32  
33 MS REECE: Thank you Commissioner. Ms Veth, while we're on  
34 that issue that I was talking to you just now about the  
35 case file, I'm just going to take you to recommendation 10  
36 on p2 of your joint report. It's just a useful opportunity  
37 now just to talk about what was missing from that case file  
38 and what difficulties that poses, someone picking it up and  
39 trying to understand what's happened in a particular  
40 investigation. You note that some documentation was  
41 missing from the case file which made a review of lab  
42 processing and interpretation of profiling results  
43 challenging. You were then able to get further  
44 documentation, because we requested it for you, but the  
45 case file as it stood when it was provided initially, was  
46 missing information which you say includes, but is not  
47 limited to, a lack of detail in relation to what samples

1 were affected by quality incidents, I think that's that  
2 3130 issue you've just raised?

3  
4 DR VETH: That's correct, yes.

5  
6 MS REECE: And any decision made as to the reworking and  
7 reporting of results arising from those quality incidents.  
8 Secondly, batch and batch quality information such as the  
9 performance of positive and negative controls which has now  
10 actually been quite significant, would you agree, in your  
11 understanding of this case?

12  
13 DR VETH: Yes, that's correct.

14  
15 MS REECE: And the third item that you felt was missing was  
16 quantification results and quality flags for case samples  
17 and extraction controls?

18  
19 DR VETH: Correct. It's very hard to determine whether  
20 your DNA profiling results are in line with what you expect  
21 if you don't actually know how much DNA is in the sample to  
22 begin with. And the batch quality information is really  
23 crucial. Batch quality information is not limited to just  
24 the results on the positive and negative controls, but also  
25 any, any within batch comparisons that are made. Now I  
26 understand that this is, they're not actually doing within  
27 batch comparison, but it's a simple way of determining  
28 whether there is cross contamination between samples that  
29 are present in a batch of results. But I understand that  
30 the FSS wasn't actually doing that with the crime sample  
31 batches, which is interesting in of itself, and also the  
32 nature of the actual type of batches that the samples are  
33 on, that information also wasn't on the case file and it  
34 wasn't until we received it quite late in the day that we  
35 realised that perhaps there was some amiss with one  
36 particular extraction method compared to the other.

37  
38 So these are all the sorts of things that we would expect  
39 to find in a case file. Some sort of independent review is  
40 required, and I'm not talking about this particular type of  
41 review but, for example, a (indistinct) analyst reviewing  
42 the case notes prior to court, for example, or another  
43 scientist reviewing the results for (indistinct words).

44  
45 MS REECE: And that could include a scientist who hasn't  
46 had carriage of a job but who ultimately then has to report  
47 on it for reasons of illness of their colleague, that's the



1 model that's set up at FSS, isn't it, that scientists sub  
2 in for each other?

3

4 DR VETH: Yes, and I'm assuming that information is  
5 available to them through whatever laboratory information  
6 management systems they are using, but I'm just more  
7 familiar with this information being made available when  
8 it's in a case file as disclosed.

9

10 MS REECE: Dr Wright, I notice you've been nodding and  
11 agreeing as Ms Veth has been giving that evidence and I  
12 assume that's because you yourself were in exactly this  
13 position when you got this case file, there was clearly  
14 material which you didn't have and which would have been of  
15 great assistance to you?

16

17 DR WRIGHT: Yes, that's right. So when somebody's  
18 evaluating the reliability and accuracy of DNA profiling  
19 evidence that's going to be presented to courts, you need  
20 to understand if there are any significant issues. So what  
21 Dr Veth has outlined in terms of the missing documentation  
22 is really needed. So possibly if some of this  
23 documentation was available within the case file and for  
24 the courts, they may have placed maybe like a warning or  
25 maybe there was some risk potentially in accepting the  
26 reliability of some of these samples or they may have had  
27 the opportunity to do some retesting before the trial.

28

29 MS REECE: And when you yourself were looking through this  
30 and trying to understand the case, that lack of detail in  
31 relation, for example, to what samples were affected by the  
32 quality incidence, that's something that caused you  
33 concern?

34

35 DR WRIGHT: Definitely, and it's those question marks that  
36 really have to be answered so you can understand exactly  
37 what the evidence means.

38

39 MS REECE: And the information, for example, of batch and  
40 batch quality information around the performance of  
41 positive controls, you agree, don't you, that that's now  
42 given us perhaps quite a significant insight into what  
43 happened with some of these samples, or what may have  
44 occurred?

45

46 DR WRIGHT: Yes, definitely, and it appears as though the  
47 Queensland lab weren't evaluating their positive controls,

1 their extraction positive controls appropriately. So one  
2 way of evaluating the success of your DNA extraction batch  
3 is to get a known blood sample, a good quality sample,  
4 you've prepared it in the lab, you know that it's blood.  
5 That's run through the batch with the other crime scene  
6 samples, because the ground truth of crime scene samples,  
7 you really don't know if there's DNA there or not, so this  
8 is your positive control, it's run through. It's made in a  
9 standard way and we're able to see the standard operational  
10 procedure for the preparation of blood extraction controls  
11 and it's 30 microlitres of blood is added, so a fairly  
12 consistent amount of DNA, but you do expect some variation.  
13 So it appears as though the laboratory were looking at the  
14 electropherograms at the end of the procedure and the  
15 electropherograms with these batches of concerns looks like  
16 a pass, they were really strong, good quality profiles, but  
17 what we were able to figure out is there's an automated  
18 function where software takes the concentration value of  
19 each sample, including the positive control, and if the  
20 concentration is low it will automatically calculate for  
21 more DNA to be added to the next stage, the amplification  
22 stage, so you can actually have a positive control that's  
23 performing really quite poorly, or a series of positive  
24 controls performing really quite poorly, which is what we  
25 have observed, but more DNA is added which inadvertently  
26 masks the issues and creates these electropherograms that  
27 are looking quite good. So it appears as though the  
28 laboratory were just looking at the electropherograms at  
29 the end, so in my opinion they were unaware of these  
30 potential quality issues with their extractions.

31  
32 THE COMMISSIONER: Dr Wright, can I just understand that,  
33 ensure that I understand that properly. You put a sample  
34 in for quantification and let's assume it's a positive  
35 control which should return a good quant, and if in fact it  
36 returns a poor quant because of some kind of a defect that  
37 exists, then the machine works automatically and it doesn't  
38 know that there's been a defect, it just sees there's a low  
39 quant. So when the sample goes on for amplification, then  
40 instead of using the standard volume of reagent containing  
41 DNA, the machine will add to the quantity of reagent, the  
42 solution containing the DNA, taking into account the low  
43 quant, in an effort to achieve a greater amplification  
44 result. You then at the end get an electropherogram that  
45 looks in order, but unless you look at the sequence that  
46 has taken place you're unaware that the machine has done  
47 some extra work to augment the poor quant. But if you knew

1 that, that that had happened, you'd be aware that there  
2 ought not have been a poor quant because it's a positive  
3 control. Consequently you stop and you work out why you're  
4 getting a poor quant from a positive control because that  
5 may be likely to give, wrongly give a poor result for a  
6 crime scene sample in due course. Is that - have I  
7 understood it correctly?

8  
9 DR WRIGHT: Yes, that's correct. The positive control, if  
10 you're getting poorly performing positive controls, it  
11 indicates a poor extraction batch has occurred which may  
12 indicate that other crime scene samples on that batch may  
13 also be negatively effected.

14  
15 THE COMMISSIONER: I must have misunderstood the process  
16 because I thought that there's an extraction process and  
17 then a part of the sample is taken for quantitation. The  
18 quantitation appears and somebody looks at it before moving  
19 on to amplification because there's a question whether, for  
20 example, it ought to be concentrated first before  
21 amplification. But in the description you've given of a  
22 low quant and an automatic process to increase the volume  
23 to try to achieve better amplification, has nobody looked  
24 at the quant itself before the next step is undertaken?

25  
26 DR WRIGHT: It doesn't appear so, otherwise I think it  
27 would have been very evident very quickly that these  
28 extraction positive controls were performing quite poorly.  
29 So I think it's an oversight in the way the laboratory  
30 reviewed its controls and, as Dr Veth said, because of the  
31 lack of information in the case file, actually having these  
32 concentration values in the case file, perhaps the case  
33 scientists couldn't make that evaluation either.

34  
35 THE COMMISSIONER: I just want to understand this because  
36 it sounds important to me. I know that when a sample is  
37 quantitated, then those that used to be within this range  
38 below 0088 would automatically be referred by the computer  
39 to a particular work list and the remaining ones that are  
40 above .0088 would go to a different work list for  
41 amplification and so on?

42  
43 DR WRIGHT: Yes.

44  
45 THE COMMISSIONER: So the work list, I've been told that  
46 the work list would not be processed further, the quants  
47 would actually be looked at by a scientist to confirm that

1 the quants are such that they belong in that list, and then  
2 they'd be ignored after that, but the quants that were  
3 above that value, do I understand you to be saying that  
4 although it was possible for each of those to be examined  
5 and let me say in an ideal system, maybe a proper system,  
6 but in any event in an ideal system, each quant should be  
7 considered in relation to the sample from which it came, so  
8 that if, for example, to take the most extreme case, it was  
9 a positive control blood sample, you would immediately see  
10 something is wrong, and if for the same reason you saw this  
11 was taken from a sample that was evidently dried blood or  
12 liquid blood, you would immediately see that there was  
13 something wrong, but you saw no suggestion that anything  
14 like that was done. Instead, after quantitation, if the  
15 sample was not relegated to the rubbish pile because it  
16 fell below 0088, it would automatically go for  
17 amplification and the automatic processes in place would  
18 augment the volume automatically to give the best prospect  
19 of getting a profile and therefore masking the anomalous  
20 result on the positive control. Is that - have I  
21 understood it?

22

23 DR WRIGHT: Yes, absolutely. So a positive control  
24 performing poorly could be automatically calculated to have  
25 two, three, even five or ten times more DNA than it should  
26 to provide a good quality profile, so, yes, that's correct.

27

28 THE COMMISSIONER: And do you know of other labs that work  
29 this way, not looking at quants and comparing them to  
30 samples?

31

32 DR WRIGHT: I'm not aware of that, no.

33

34 THE COMMISSIONER: Thank you.

35

36 MS REECE: Ms Veth, when you received the batch information  
37 which showed you the performance of the positive controls  
38 in the Blackburn case, this was what really indicated to  
39 you that there might be a problem with the extraction of  
40 the DNA --

41

42 THE COMMISSIONER: I'm sorry, Ms Reece, I'm sorry to  
43 interrupt you. Just while it's in my mind. When I said  
44 one ought to look at the quants, you were given some  
45 documents and you were able to see that quants before  
46 amplification, is that right, is that what led you to your  
47 conclusion, or were you given something more than what I've

1 called the quants, were you given some kind of data in  
2 relation to the quantitation more than what I've called the  
3 quant?  
4

5 DR WRIGHT: So given the concentration of the positive  
6 controls that were in the Blackburn batches and the  
7 question was is this concentration value within the  
8 expected range, and we didn't know what the expected range  
9 was, so we asked for one year's worth of positive control  
10 concentration values from mid 2012 to mid 2013 to  
11 understand what the upper and lower range was and it was  
12 clear that in some of the batches, that the Blackburn  
13 evidence was processed on the - the positive controls were  
14 falling outside that.  
15

16 THE COMMISSIONER: I understand. You compared it to past  
17 history, I think I saw the graft in your document.  
18

19 DR WRIGHT: Yes.  
20

21 THE COMMISSIONER: Yes, thank. Yes, Ms Reece.  
22

23 MS REECE: Commissioner, would it assist to put that graph  
24 up or are you content to --  
25

26 THE COMMISSIONER: No, no, I understand it now.  
27

28 MS REECE: Ms Veth, when you got that positive control data  
29 for the Blackburn batches, that was when you first  
30 suspected that there might have been an issue in fact with  
31 the extraction of those samples?  
32

33 DR VETH: That's right. We could see that the samples that  
34 we were referring to as problem samples. The (indistinct)  
35 batches consistently had a much lower quantification level  
36 for the positive control when compared to the batches that  
37 were processed within a different system which had much  
38 much higher DNA concentration (indistinct words) positive  
39 controls, and really it was only because the data was  
40 presented in this way that we actually saw a marked  
41 difference and which led I think, led to the request for  
42 one year's worth of data just to see what we were seeing in  
43 the small snapshot from the Blackburn case actually could  
44 be seen over a longer period of time.  
45

46 MS REECE: Just staying on the Blackburn case itself for a  
47 moment. If I could ask, Mr Operator, to please put up on

1 the screen document EXP.0008.0003.0001. Dr Wright, this is  
2 a Box and Whisker plot that you have created with the data  
3 that Ms Veth has just been talking about?  
4

5 DR WRIGHT: That's correct, that's all of the positive  
6 controls that were used on batches containing the Blackburn  
7 samples and what you're seeing is, on that vertical axis is  
8 the concentration value of each positive control.  
9

10 MS REECE: And you have there 'manual'. Do you understand  
11 now from further information that perhaps the method might  
12 be referred to as multi-probe extraction?  
13

14 DR WRIGHT: Yes.  
15

16 MS REECE: And that right-hand set, dataset, it relates to  
17 that multi-probe extraction?  
18

19 DR WRIGHT: Correct.  
20

21 MS REECE: Ms Veth, that really demonstrates in I suppose a  
22 visual way at least what you've described in relation to  
23 the Maxwell extraction positive quality quants and the  
24 multi-probe equivalents?  
25

26 DR VETH: Correct, yes.  
27

28 MS REECE: What was the sample size of each box, do you  
29 know, for those two datasets?  
30

31 DR VETH: In relation to the Blackburn case the datasets  
32 are small because there's only a limited number of batches  
33 that we used.  
34

35 MS REECE: And the smaller dataset means that it's more  
36 informative to understand whether this was a pattern to, or  
37 a systemic issue to look at that greater amount of data?  
38

39 DR VETH: That's correct. As Dr Wright said, we needed to  
40 get an idea of the pattern over a longer period of time  
41 rather than just isolate it to these few batches, that's  
42 then a couple of months maybe that these samples were  
43 processed.  
44

45 MS REECE: So it's fair to say this data piqued your  
46 interest and is it the case then that the data that you've  
47 seen, which was a year's worth of data of the positive

1 control quantitation, that that data confirms that concern?

2

3 DR VETH: I think so. It's certainly describing the  
4 difference between the quantitation results or the DNA  
5 concentrations from the multiprobe extracted positive  
6 controls and Maxwells over a much longer period of time  
7 than was just the case for the Blackburn samples.

8

9 MS REECE: Just on that note I'll ask Mr Operator to go to  
10 document COI.00009.0076.0001.

11

12 THE COMMISSIONER: While that's being recovered. Ms Reece,  
13 the diagram with the blue box and the orange box, what's  
14 that in, which report is that in?

15

16 MS REECE: It's additional, Dr Wright has provided it  
17 subsequent to her addendum report because this issue has  
18 been developing quite lately.

19

20 THE COMMISSIONER: You'll give it to me in due course then  
21 because I don't think I've seen it.

22

23 MS REECE: No, thank you Commissioner. I can hand up a  
24 copy if that will be of assistance.

25

26 THE COMMISSIONER: Thank you very much. Better make it an  
27 exhibit.

28

29 MS REECE: I tender that.

30

31 THE COMMISSIONER: Yes.

32

33 **EXHIBIT #222 DOCUMENT EXP.0008.0003.0001**

34

35 MS REECE: Thank you, Commissioner. Ms Veth, I might just  
36 get you just to explain broadly what this spreadsheet is?

37

38 DR VETH: I'll do my best. So this is a spreadsheet that  
39 has been provided by the laboratory and it shows in column  
40 A the code, if you will, that denotes a particular type of  
41 extraction positive control, and the ones that we are most  
42 concerned with are the ones - row 2 which is blood. These  
43 are the extraction positive controls that are used in the  
44 Maxwell extraction batches. And in row 8 it's the DNA  
45 which are the extraction positive controls used in the  
46 multiprobe extraction method. I can't really speak to the  
47 rest of them other than what you can (indistinct words).

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

MS REECE: Mr Operator, if you could go across two tabs to the tab F bot and then there's a series of numbers cumulative. Ms Veth, this appears to be anyway a set of data of concentration levels in positive controls in the lab over that year period?

DR VETH: That's correct, yes, for the Maxwell and the multiprobe extractions for (indistinct).

MS REECE: And you see in there in this particular chronological format they are really intertwined, you see the Maxwell and the multiprobe extraction results in a chronological series here?

DR VETH: That's right. And you can sort the data differently. If you sort it on column C from lowest to highest you'll see a general trend that the multiprobe quantitation values are lower.

MS REECE: That's just being done now?

DR VETH: Yes.

MS REECE: Mr Operator, if you go back up to the top of that spreadsheet.

Ms Veth, what we're seeing here is really multiprobe extraction with this lower range, this lower range of quantitation results or concentration results, overwhelmingly those lower results appear to have been extracted using the multiprobe extraction method?

DR VETH: That's correct. And if you scroll down eventually you'll get to the Maxwell and you'll see that in general they are much higher.

MS REECE: That continues for some time before Maxwell starts to appear. Mr Operator is just highlighting a couple as he goes?

DR VETH: Yeah, and there are some anomalous Maxwell results and that may be due to normal variation, I can't really account for them. If you just keep scrolling down eventually we will get to - so now we're getting into the realms that we would normally expect from positive controls that are created in the laboratory. So these are samples



1 that have usually more than 1 ng/ $\mu$ L DNA concentration and  
2 that's what we're seeing here, that as we get into the  
3 higher concentrations we are seeing that these are being  
4 achieved mostly from the Maxwells. We find that to be  
5 quite suggestive.

6  
7 MS REECE: In the absence of any reason why or any  
8 potential for misinterpretation, it's a fairly compelling  
9 indication, isn't it, that there was at least a difference  
10 in what those two extraction methods were outputting?

11  
12 DR VETH: Yes, and I haven't scrutinised this data by date  
13 range or anything like that. It could be that there was a  
14 particular period of time when perhaps the multiprobe  
15 extractions DNA concentrations were better and then perhaps  
16 there was some tailing off (indistinct) you know, that we  
17 detected in the Blackburn case. But just on the basis of  
18 seeing this data we do think there's cause for concern, we  
19 do think there's quite a difference in what was being  
20 achieved from the multiprobe extraction method compared to  
21 the Maxwell extraction method.

22  
23 MS REECE: And the effect of that dataset would tend to  
24 support your theory that this may be an explanation for the  
25 poor results, at least in those results in the Blackburn  
26 case which were processed in this multiprobe batch set?

27  
28 DR VETH: We certainly think it warrants further  
29 investigation.

30  
31 MS REECE: And it is, if I can put it, perhaps not the  
32 right word and you might be able to think of a better one,  
33 but the multiprobe extraction issue becomes something of an  
34 umbrella explanation, doesn't it, because it does have the  
35 potential to account for each of these sets of samples that  
36 for some reason didn't perform well?

37  
38 DR VETH: For almost all of the samples that we had  
39 concerns about were in multiprobe batches.

40  
41 THE COMMISSIONER: Sorry, what proportion of them, Dr Veth?

42  
43 DR VETH: I can't give you a proportion but most of the  
44 samples from Ms Blackburn's shirt, the bloodstain samples,  
45 most of the S series which were samples taken from the  
46 street, and the samples that were described as bloodstains  
47 taken from the vehicle (indistinct) may be something else

1 going on there as well. All of those types of samples were  
2 processed in multiprobe batches.

3  
4 THE COMMISSIONER: Thank you.

5  
6 MS REECE: Commissioner, those affected samples are set out  
7 at pages 10 and 11 of Ms Veth and Dr Bedowle's report.

8  
9 THE COMMISSIONER: Thank you.

10  
11 MS REECE: Dr Wright, I saw you nodding while Ms Veth was  
12 explaining that data to us. You'd agree with that  
13 analysis, wouldn't you, that that longer or that greater  
14 dataset at least on that viewing of it does tend to support  
15 the theory that the extraction method may have played a  
16 role in the poor performance of some samples in the  
17 Blackburn case?

18  
19 DR WRIGHT: That's right. The 12 months of data is a  
20 really good sample size. It was somewhere about 1,700  
21 positive controls, so I think that's a good sample size to  
22 I guess make this inference and it really is quite clear  
23 there is a difference. I did perform some descriptive  
24 statistics between the two DNA extraction methods for the  
25 Blackburn case and that suggested that the Maxwell method  
26 was providing three times, at least three times as much DNA  
27 as the multiprobe method which, you know, when you're  
28 talking about trace samples could be quite significant,  
29 yep.

30  
31 MS REECE: Dr Bedowle, I might just ask you, is there  
32 anything in your understanding of the difference between  
33 the Maxwell extraction method and the multiprobe extraction  
34 method which could account for such a difference in  
35 quantitation levels?

36  
37 DR BEDOWLE: We didn't look at it in depth to figure that  
38 out because it would take a lot more testing and evaluation  
39 of the components. Generally looked to be similar. There  
40 are probably some volumes of steps or washes that might be  
41 different. I just couldn't say at this point other than  
42 there's a clear difference in the performance between the  
43 two of them that could have an impact on yield.

44  
45 MS REECE: Ms Veth, I understand that there is a manual  
46 component to the multiprobe extraction method, is that  
47 right?

1  
2 DR VETH: There's an actual manual component to both and it  
3 can be a little bit confusing trying to tease out what's  
4 happening, but it's actually fairly common for there to be  
5 a manual, we call it a pre-processing step prior to the  
6 samples going on to the robot. The liquid handling robots  
7 are good at performing a lot of the tasks that a human  
8 would normally do but there are some steps that are quite  
9 difficult for a robot to perform so those steps can be  
10 processed - or are usually processed manually prior to a  
11 batch going on to the robot.

12  
13 MS REECE: I guess what I'm trying to understand, and I'll  
14 put it to all of you and you can respond in turn really, is  
15 there's no immediate obvious explanation that you're aware  
16 of which might account for the performance of positive  
17 controls in the Maxwell extraction compared to the  
18 multiprobe extraction, Ms Veth?

19  
20 DR VETH: That's correct. At this stage we don't know if  
21 it's something do with that manual pre-processing step,  
22 something to do with the combination of reagents that are  
23 used or particular steps that are used or something to do  
24 with the robots themselves, the (indistinct) robots  
25 themselves causing the difference. Unfortunately this is  
26 probably going to be a fairly significant investigation to  
27 try determine what's going on here if it is accepted that  
28 there is something that is happening there that is causing  
29 this difference, again a recovery.

30  
31 MS REECE: The investigation - I'm sorry, go on,  
32 Dr Bedowle?

33  
34 DR BEDOWLE: I was just going to add having compared how  
35 much manual requirements there are on the multiprobe versus  
36 the Maxwell, because there are parts (indistinct), manual  
37 procedures often require art not just science. We tend to  
38 see some people are really good at it and get great yields  
39 and other people following the same procedure get poor  
40 yields, hence why people have moved towards automated  
41 procedures when possible. It sort of democratised the  
42 capability of the analysts or technicians in a laboratory.  
43 So it could just be that those who developed it in the  
44 beginning may have had great hands and good art skills and  
45 produced great things but as you transferred the technology  
46 to others they just may not be performing it exactly the  
47 same way and therefore have lower yield. So something you

1 might look into is the human component in the manual  
2 process.

3  
4 MS REECE: And any such an investigation, while it may  
5 indicate both how widespread this issue was, what it was  
6 caused by, and I suppose whether it is an issue, whether  
7 there's something we failed to understand, but an  
8 investigation, it really has the limitation, doesn't it,  
9 when it relates to this particular case, Blackburn, that  
10 while it might indicate that something went wrong it  
11 doesn't have the effect of answering the question as to  
12 what actually lay in those samples to begin with. That  
13 would have to be achieved by either resampling or retesting  
14 of some sort?

15  
16 DR VETH: That's correct, yes.

17  
18 DR BEDOWLE: Yes.

19  
20 MS REECE: Dr Wright, I'll give you an opportunity to  
21 comment on both those things. My first question to Ms Veth  
22 and Dr Bedowle was obviously, you agree there wasn't  
23 anything obviously apparent in either of these extraction  
24 methods that would account for those poor results?

25  
26 DR WRIGHT: I didn't thoroughly examine the standard  
27 operational procedures so I'm probably not best placed to  
28 answer that. This discovery was only made last week but I  
29 agree with Dr Bedowle and Dr Veth.

30  
31 MS REECE: And in relation to the second point which is the  
32 remedy, if I can call it that, for the Blackburn case,  
33 while further examination might explain what happened or  
34 the extent of what happened, the remedy really for this  
35 case would be in the retesting or resampling of exhibits,  
36 wouldn't it?

37  
38 DR WRIGHT: It would, but what we're seeing is a loss of  
39 DNA. We're seeing positive controls that were prepared  
40 with the same amount of biological material yet some of  
41 these positive controls have a lot less DNA, and that  
42 strongly suggests or demonstrates that for some reason DNA  
43 is being lost in the multiprobe method. So while I  
44 absolutely agree with the possibility for retesting, if no  
45 result is obtained we don't know if that's because there  
46 was DNA there to begin with but then it was lost, and we  
47 don't know if there wasn't DNA there to begin with and what

1 we're seeing is accurate. But what I am confident of is  
2 that there is quite a significant loss of DNA in the  
3 multiprobe method.

4  
5 MS REECE: I shouldn't have suggested that it was a full  
6 remedy, merely that it is what remains able to be done when  
7 you have such concerns. There is the potential, as I  
8 understand it, when a sample has been extracted to go back  
9 to the spin basket, so to the - I'm going to put it in a  
10 way which I'm sure will be wrong, but the tip of the swab  
11 has been cut off or has been placed into a tube and then  
12 it's been spun and what remains then and what is retained  
13 by the lab is called the spin basket, is that right?

14  
15 DR WRIGHT: Yeah, that's right. So in the first stage of  
16 DNA extraction you've got the cells that were recovered on  
17 the swab from the scientific officer, if there was in fact  
18 cells recovered. That first process is basically to try to  
19 remove the cells from the swab and put it in a tube with  
20 solution and then that solution goes on to DNA extraction.  
21 Now that isn't 100 per cent effective, meaning that in that  
22 swab that is retained by the laboratory you could have one  
23 remaining cell that didn't get into the DNA extraction  
24 process, you could have ten, you could have 50 or you could  
25 have none. So definitely going back to the spin basket may  
26 be a possibility of obtaining intact cells that could be  
27 further processed.

28  
29 MS REECE: I understand your point though and of course  
30 probably a related point is that the smaller amount of DNA  
31 present in the first place will impact on how much there  
32 might be residual in the spin basket?

33  
34 DR WRIGHT: Correct, so even --

35  
36 MS REECE: And when trace DNA is involved that's  
37 particularly problematic?

38  
39 DR WRIGHT: Correct. So even going back to the spin  
40 basket, which should give you an unaffected sample so to  
41 speak, you may not get the number of cells you require so a  
42 negative test from that again may not be indicative of the  
43 (indistinct) truth of that sample.

44  
45 MS REECE: Ms Veth and Dr Bedowle, would you agree with  
46 that discussion I've just had with Dr Wright about the  
47 limitations on retesting?

1  
2 DR BEDOWLE: I mean there's always going to be limitations  
3 because we don't know which samples are really probative,  
4 we don't know how much has been consumed, we don't know how  
5 much is left over. But you can't put an absolute cause on  
6 what happened to samples. In some sense if you really want  
7 to get to an answer of who is the source of the samples,  
8 nothing solves that by hypothesis or even demonstrating  
9 there was a poor extraction whatever. You can only work  
10 with what's left over and take the best chance we can when  
11 we try to decipher with good laboratory practices to  
12 achieve whatever may be available. And it may just be a  
13 chance effort at this point or it may be that there's a  
14 good effort depending on the sample.

15  
16 MS REECE: What would an investigation look like if the lab  
17 was to conduct an investigation of this, what we see as  
18 this potential anomaly between the two extraction methods  
19 at this time, what would an investigation like that  
20 require? Ms Veth, you said that it would probably be quite  
21 a large investigation for the lab presumably to understand  
22 the extent of it?

23  
24 DR VETH: Correct, because they'll need to establish how  
25 localised or how much time the issue was occurring,  
26 assuming again that it is an issue, and then at what point  
27 through the process may be causing these issues  
28 (indistinct). It's going to be very difficult. Dr Bedowle  
29 mentioned that it could be something to do with that manual  
30 pre-processing step. I guess it would be possible to have  
31 a look at whether this is actually technician related but I  
32 suspect this is looking like it was going on for quite a  
33 long period of time, but it wouldn't be one technician but  
34 perhaps there a training issue, as Dr Bedowle has  
35 indicated, that has resulted in a - has evolved over time  
36 to the detriment of the method overall. It's not - is it  
37 something to do with the reagents that were used at the  
38 time? Again we're talking about quite a long period of  
39 time by the looks of it. It seems to be unlikely that it  
40 would be need to be investigated. Is it something to do  
41 with the actual functioning of the robot itself? That is a  
42 possible explanation.

43  
44 THE COMMISSIONER: Dr Veth, you may have explained this in  
45 your report or in oral evidence and I've forgotten it, but  
46 can you just tell me how it was that you discovered this  
47 anomaly?

1  
2 DR VETH: There was a particular spreadsheet that was sent  
3 through that had all of the Blackburn case samples listed  
4 on it, the extraction batches that those samples were on  
5 and then the quantitation results from the positive  
6 control. And when I scanned down the positive control DNA  
7 concentration column I could see that their samples were  
8 being processed in this multiprobe method. Positive  
9 control DNA concentrations were significantly less than  
10 those that were obtained from the Maxwell extracted  
11 positive controls. And then it just so happened to  
12 coincide that the (indistinct) evidence samples that we  
13 have been talking about happened to be in those same  
14 batches that were done on the multiprobe device.

15  
16 THE COMMISSIONER: As a matter of routine in a decently run  
17 laboratory how would an anomaly like this be discovered, be  
18 noticed, as a routine matter, and I ask you if it would be  
19 noticed as a routine matter?

20  
21 DR VETH: Yes, so there's a few different points at which  
22 this could be or clues could be detected. One is the point  
23 that Dr Wright was discussing earlier when the batches have  
24 been quantified, reviewing the results of the positive  
25 control to make sure it's within the sort of expected  
26 range. Another point might be a little later on after the  
27 profiles have been analysed and say a case manager of a  
28 case is reviewing the result, they see that a batch of  
29 bloodstains for their case has come off, all the results  
30 are quite poor, the quantitation results for those  
31 bloodstains are quite poor, and at that point you might be  
32 asking yourself, "Is this a problem with just my samples,  
33 was the whole batch like this?" So in a lab where cases  
34 are being managed sort of from beginning to end by one  
35 person you can get a feel for the sorts of results that  
36 you're getting. And there may be other points in the  
37 process also that will provide some clues. Perhaps the  
38 analyst who is analysing the electropherograms has they  
39 come off the capillary electrophoresis, those analysts may  
40 not actually know what sample types they are dealing with.  
41 It might not be so obvious that there's a problem with the  
42 whole batch, the entire batch of results. So really it's  
43 that initial quant data and also the review of the results  
44 by the person who has the understanding of the context of  
45 those particular samples.

46  
47 THE COMMISSIONER: Could I ask you this, we have positive

1 and negative controls for a reason because you know what  
2 you ought to get and therefore an anomalous or a result  
3 that's inconsistent with what you ought to get raises  
4 questions, that's why you do it. So it seems to me to  
5 follow that whatever else you might do in relation to  
6 looking at quants, one thing you have to do in every case  
7 is to examine the quant for the positive and negative  
8 controls?

9  
10 DR VETH: That's correct, because it's equally important to  
11 ensure that your negative control doesn't contain DNA but  
12 also very important and that's critical at that early  
13 stage.

14  
15 THE COMMISSIONER: So if you - sorry, go ahead?

16  
17 DR VETH: Quantitation (indistinct).

18  
19 THE COMMISSIONER: Yes. So if you posit a reasonably  
20 competent scientist looking at the quants derived for these  
21 positive controls, then that scientist should have noticed  
22 that they were strangely low, that any one of them should  
23 have appeared strangely low?

24  
25 DR VETH: Yes, we're not entirely sure, as Dr Wright  
26 pointed out we're not entirely sure of the process, whether  
27 there is a person who reviews quantitation results as they  
28 become available or whether this is a very automated  
29 process. We're just unsure about what quality checks are  
30 being done at that particular stage of the DNA profiling  
31 process.

32  
33 THE COMMISSIONER: But am I right in thinking that if  
34 positive controls are to have any meaning then before any  
35 conclusions are drawn from anything somebody ought to look  
36 at the actual quant achieved from every relevant positive  
37 control to see if it's in order?

38  
39 DR VETH: Yes. Certainly that is a good marker for - that  
40 is the point of the positive control, one of the points of  
41 the positive control, is to determine whether your  
42 extraction method has performed adequately. And we're  
43 suggesting that for these particular extractions positive  
44 control data has indicated that the extraction may not have  
45 been (indistinct) adequately.

46  
47 THE COMMISSIONER: Yes. Do you want to say anything about



1 that, Dr Wright?

2

3 DR WRIGHT: I agree with Dr Veth. The analysis that I  
4 conducted last week highlighted that in a different way.  
5 In figure 1 of my addendum report I looked at the 12 months  
6 worth of positive control data.

7

8 MS REECE: We can get that up on the screen if it assists,  
9 Dr Wright. Mr Operator, that's Dr Wright's second report,  
10 or addendum report, which is EXP.0008.0001.0001 and the  
11 figure --

12

13 DR WRIGHT: Figure 1 on page 7.

14

15 MS REECE: Page 7, thank you.

16

17 DR WRIGHT: To answer your question, Commissioner, I guess  
18 a laboratory or a scientist that's inquisitive about the  
19 performance of their samples, this is what I did when I saw  
20 the positive control concentration values from the evidence  
21 of concern. So what you're seeing there is a histogram and  
22 that shows the distribution of concentration values for  
23 those positive controls and I really wanted to see where  
24 the Blackburn evidence fitted in. Was it within that  
25 middle range, I guess that expected range, or was it out to  
26 the left-hand tail? That left-hand tail indicates a much  
27 lower concentration and poorly performing batches. So it  
28 was interesting Dr Veth and I looked at the spreadsheet  
29 data differently and this is the analysis that I undertook  
30 to demonstrate that that Blackburn evidence is, you know,  
31 when you look at a year's worth of data it is really at  
32 that poorly performing range.

33

34 THE COMMISSIONER: So I just want to - what I'm looking at  
35 is whether somebody ought to have noticed this without the  
36 benefit of having thought for some reason, "I need to get  
37 three years of data". I take it looking at your addendum  
38 report that you looked at several batches of evidence that  
39 had been sampled in that case and you noticed you say at  
40 page 6 that three of the four positive controls provided a  
41 low concentration of value, that is below .7 ng/ $\mu$ L. So you  
42 saw from your own knowledge as a scientist in this field  
43 that those positive controlled quants appeared to be low?

44

45 DR WRIGHT: They appeared to be low but I didn't have  
46 information from the laboratory to understand what they  
47 expected a positive control could be.

1  
2 THE COMMISSIONER: No, I understand that, yes.  
3  
4 DR WRIGHT: The OPI 34043 stated that the expected range  
5 for a positive control was 1 ng/ $\mu$ L to 3 ng/ $\mu$ L.  
6  
7 THE COMMISSIONER: Yes, but the point is put yourself in  
8 the position of a scientist looking at this case, you  
9 notice that three out of the four positive controls appear  
10 to you to be low?  
11  
12 DR WRIGHT: Yes.  
13  
14 THE COMMISSIONER: But you don't know if that's normal for  
15 the lab but they appear to you to be low?  
16  
17 DR WRIGHT: Yes.  
18  
19 THE COMMISSIONER: Therefore a person proceeding with  
20 reasonable competence ought to notice that - if that person  
21 has oversight of all the samples, of course. If you're  
22 doing it sample by sample you might never come to this  
23 point. But looking at all of them you notice the positive  
24 controls appear to be low. That raises a question. So you  
25 ask the question, "What do we normally get?"  
26  
27 DR WRIGHT: Yes.  
28  
29 THE COMMISSIONER: One source of information is OPI 34043  
30 which says we generally expect between 1 and 3 ng/ $\mu$ L?  
31  
32 DR WRIGHT: Yes.  
33  
34 THE COMMISSIONER: Well that's something. You then ask for  
35 a year's data or two years' data and you see what you've  
36 reproduced in the histogram on page 7, that these positive  
37 controls in this particular case are at the wrong end of  
38 the scale?  
39  
40 DR WRIGHT: Yes.  
41  
42 THE COMMISSIONER: You then raise the question in your own  
43 mind what's happened to the actual crime scene samples and  
44 then we're on a train of inquiry, is that the process?  
45  
46 DR WRIGHT: Yes.  
47

1 THE COMMISSIONER: Yes, thank you. Dr Bedowle, did you  
2 want to add anything to my question about the expectation  
3 that somebody would have noticed this at the time and the  
4 reasons why somebody might not have noticed it at the time  
5 that are proper reasons or reasons that show a lack of  
6 reasonable care?  
7

8 DR BEDOWLE: Again, an ideal way to do this is to have  
9 what's called a control chart, where you're mapping out  
10 your controls over time. Because any one event, as you can  
11 see just from the Excel spreadsheet, could give it a poorer  
12 result or a greater result in isolation. And so if an  
13 analyst doesn't know what is the expected range, routinely  
14 because they're focused on the case, they may just see this  
15 as part of that wide range of values, not where the optimum  
16 should be or where the majority are. So they may be  
17 uninformed on what is an expected range because case by  
18 case, "I see this every once in a while so it must be okay"  
19 visualisation. Had someone been collecting the information  
20 all along, they could have seen trends as you were mapping  
21 it. So let's say in the month of July you get better  
22 results than you do in January, that could be a hint of  
23 something to do with the humidity or the temperature, who  
24 knows what it could be, but it gives you an indication.  
25 You're (indistinct words) expecting that the analyst in the  
26 lab didn't have so they may not have been able to  
27 appreciate that it was performing lowly on a whole bunch of  
28 samples or under one methodology without having the  
29 composite data or someone mapping that for them so that  
30 they could be more appreciative of the trends that may have  
31 been observed. Because if you do it one at a time you may  
32 not pick up on it yourself as you focus on the case. I'm  
33 just trying to see if I can get a result and interpret it  
34 as opposed to what is happening long-term.  
35

36 THE COMMISSIONER: Thank you for that.  
37

38 MS REECE: Ms Veth, if I can just jump in there. You were  
39 talking earlier in your evidence about that the EPGs for  
40 these controls may very well have, and in fact I think you  
41 said were performing well, that there were, you know,  
42 readable profiles being produced. And so to that extent if  
43 someone was checking the EPGs would have shown nothing of  
44 concern. Your point I think earlier was that it's not  
45 apparent that the lab was monitoring positive controls  
46 quantitation and that that's really a process issue or a  
47 lab issue rather than an individual scientist keeping track

1 of that detail. Is that a fair summary of what you said?

2

3 DR VETH: It is fair summary but just to - if I partially  
4 answer the question the Commissioner was asking, it may  
5 also be a limitation of the laboratory information  
6 management system. We were talking earlier about the  
7 paperwork that was missing from the case file. It seems -  
8 if I can just talk about my own laboratory for the moment,  
9 we can generate a report for a particular case that shows  
10 all of the quantitation, that is all of the case samples  
11 and all of the controls associated with those case samples.  
12 And even a report such as that would, does alert the case  
13 manager to issues with particular batches because they can  
14 see all of the results in one place and it demonstrates  
15 how, "This batch isn't what I expected it to be. Oh, the  
16 positive control's really poor". So while the batch may  
17 have been passed because the EPG for the positive control  
18 was as expected, quantitation results when you see them all  
19 together is really useful for being able to determine if  
20 there's something anomalous happening. So there's two  
21 issues. One is it is better if the laboratory was  
22 monitoring the positive controls in a more centralised  
23 fashion, but also the reporting scientist should have  
24 access to this information when they are considering the  
25 results for a particular case because obviously they are  
26 germane to the interpretation of the results.

27

28 MS REECE: Dr Wright, again I saw you nodding as Ms Veth  
29 was speaking, you agree with what she said?

30

31 DR WRIGHT: Yes.

32

33 MS REECE: Before I move on from this topic, I understand  
34 you've all in some way expressed that there are some  
35 unknowns at this point, that we can't say to a definitive  
36 level that there was an issue with this extraction method,  
37 but you would all I think agree that the apparent issue is  
38 such that an investigation is imperative? Ms Veth?

39

40 DR VETH: Yes.

41

42 MS REECE: Dr Bedowle?

43

44 DR BEDOWLE: Yes.

45

46 MS REECE: Dr Wright?

47

1 DR WRIGHT: Yeah, definitely and affected samples retested  
2 potentially.

3  
4 MS REECE: Commissioner, I thought we might - just because  
5 of the actual period we've now been in session I wonder if  
6 we might break for ten minutes?

7  
8 THE COMMISSIONER: Certainly, just give me a moment.  
9 Dr Bedowle, I'm conscious of the difference in time so I  
10 think where you are it'll be 9 o'clock at night?

11  
12 DR BEDOWLE: Yeah, but sleep is for mortals so don't worry.

13  
14 MS REECE: With that in mind, Commissioner --

15  
16 THE COMMISSIONER: Well then a 20 minute break.

17  
18 **SHORT ADJOURNMENT**

19  
20 THE COMMISSIONER: Yes, Ms Reece.

21  
22 MS REECE: Commissioner, just before we move on from that  
23 last topic that I was, that we were talking about before  
24 the break, I'm reminded that it might be useful to ask each  
25 of the experts whether there's anything in particular that  
26 they would require to be done in the investigation, or will  
27 that become - is there anything in particular, Ms Veth, for  
28 example, that you would say needs to be done in order to  
29 investigate this potential issue with the extraction  
30 methods?

31  
32 DR VETH: Well, I think it needs to be investigated because  
33 there are implications beyond this particular case. I'm  
34 not sure what I can say beyond that other than that it  
35 really does need to be investigated.

36  
37 MS REECE: And an investigation would involve presumably  
38 initially looking at exactly that kind of dataset but over  
39 a longer period of time to see the potential scope or  
40 extent of that low performing quant being derived from  
41 those batches?

42  
43 DR VETH: Yes, it's going to be quite - I think it will be  
44 difficult if they no longer have the technology for use.  
45 I'm not sure whether they're still using the Multi-probe  
46 extraction technique method.

47

1 MS REECE: No, I don't understand that they are.

2

3 DR VETH: So there are going to be (indistinct words) part  
4 of the investigation might have been to try and recreate  
5 the problem, (indistinct words) retrospectively and I  
6 suspect it is going to be quite a complex matter.

7

8 MS REECE: All right. You really then would be almost  
9 looking at the symptoms or the evidence of the issue rather  
10 than being able to interrogate the machine itself for  
11 example?

12

13 DR VETH: Exactly. Exactly.

14

15 MS REECE: All right. And do you agree with that,  
16 Dr Wright?

17

18 DR WRIGHT: I do. I think obtaining positive control  
19 concentration data from the time of implementation and then  
20 doing a temporal analysis to see in those concentration  
21 values are changing over time and also looking at the  
22 original validation data to see if that validation data was  
23 producing similar kinds of results and to see if that was  
24 ever compared against the other DNA extraction methods. So  
25 essentially they need to do a root cause analysis to  
26 understand what is causing the issue, how long it has been  
27 persisting for and what cases and what samples may have  
28 been effected.

29

30 MS REECE: It did sound, Dr Bedowle, from what you were  
31 saying earlier that potentially looking at how staff were  
32 being trained in this particular process may also need to  
33 form part of that investigation?

34

35 DR BEDOWLE: Well I think there's three parts to this. The  
36 first part is that you're asking about the specific case.  
37 It's not going to matter so much about a specific case  
38 because pragmatically retesting, re-analysing is going to  
39 address the samples in the specific case.

40

41 The second part is, as has already been mentioned, what is  
42 the effect over a long term?

43

44 The third part is not just then assessing every case, but  
45 doing a materiality review because it wouldn't be necessary  
46 to go back to every case if there was an exoneration or  
47 there was no decision made in it or there's other evidence

1 that supports well. That's not a scientist's job,  
2 obviously, that's more on the judicial side, the legal  
3 side. So depending on what you want to do some strategies  
4 would fall into place to address the circumstances. But I  
5 wouldn't just make a blanket: Would I do this. It depends  
6 on what it is you're concerned about.

7  
8 MS REECE: And in layman's terms, the concern arising out  
9 of this analysis of the data is that there may have been a  
10 loss of usable DNA evidence through the malfunctioning or  
11 the poorly performing extraction method?

12  
13 DR BEDOWLE: Yes, that's a major concern and we don't know  
14 the impact of that, especially for (indistinct) data that  
15 could be exculpatory, if there were data, or lead to other  
16 individuals so that the defence could make their own  
17 argument that the other individuals might have been  
18 involved, could have an impact, as well as there may have  
19 been inculpatory data that could have been lost that could  
20 have helped identify a potential perpetrator or  
21 (indistinct) perpetrator. You just don't know because, if  
22 a loss of DNA had that kind of impact on case evidence.

23  
24 MS REECE: Ms Veth, you were saying something I think? Or  
25 were you agreeing?

26  
27 DR VETH: I was agreeing, yes.

28  
29 MS REECE: All right. The next issue I was going to take  
30 you all to is the issue of the samples in the car and I  
31 might start by going to your report, your joint report,  
32 Ms Veth and Dr Bedowle. No, I'm sorry, to Dr Wright's  
33 addendum report which is document ID EXP.0008.0001.0001.  
34 And, Mr Operator, there's table 1 there on p1 which spans  
35 two pages. Is it possible to clip out both parts of that  
36 table and show it as one on the screen.

37  
38 Dr Wright, you provided this table really as a handy aid to  
39 understanding the sequence of the sample collection from  
40 the car, is that right?

41  
42 DR WRIGHT: Yes.

43  
44 MS REECE: And bearing in mind that this happened not  
45 immediately after Ms Blackburn's death, but a couple of  
46 weeks later, the officer investigating, scientific officer  
47 was the same one who had taken the blood swabs at night.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

DR WRIGHT: Yes.

MS REECE: On the day after her murder. And he followed a procedure, as I understand the evidence, that he first applied a presumptive test, either a Combustion test or a luminol test to areas of the car?

DR WRIGHT: Yes.

MS REECE: And after applying that initial presumptive test he then swabbed?

DR WRIGHT: Yes.

MS REECE: And then he carried out a second test?

DR WRIGHT: Yes.

MS REECE: I'll come to you in a moment but I'll go to Dr Bedowle first. Dr Bedowle, is this approach to testing for potential blood or biological matter controversial?

DR BEDOWLE: No, not at all.

MS REECE: Essentially it creates - the first presumptive test gives you some information. The swab is taken and then is there what's called a confirmatory test taken second?

DR BEDOWLE: Well, what would happen is the confirmatory test would most likely occur in the laboratory setting. So if the crime scene officers are trying to identify biological material, often it's invisible, especially if it's touched or it's been diluted in some fashion, so this gives them a better chance on focusing on collecting potential evidence, as opposed to blindly swabbing, and so that would be the first part. They could send the swabs to the lab and if the lab had a protocol or policy in place to do so, then they would, you know, analyse samples with confirmatory tests if that would help in the reconstruction of the crime if they're, you know, depending on the evidence.

But some labs bypass the confirmatory tests in some situations, relying solely on the DNA on that. I'm not a fan of that in a number of cases because sometimes the



1 biological material can be germane to the actual crime  
2 that's committed, but in some cases it may be okay.

3

4 MS REECE: In this case the second test was carried out.  
5 For example, in those first few samples that you can see,  
6 the Combur test was a very slow negative. I'm sorry, it  
7 was a negative test with a very slow reaction. You can see  
8 that there in the second column?

9

10 DR BEDOWLE: Yes.

11

12 MS REECE: And then the sample or the swab was taken and  
13 then luminol was applied?

14

15 DR BEDOWLE: Apparently. I guess that's the way it was  
16 done, I just don't know the procedure, but it would appear  
17 so.

18

19 MS REECE: All right. And the luminol test in that case  
20 could itself be a confirmatory test if it also tested  
21 positively at that stage?

22

23 DR BEDOWLE: Not necessarily a confirmatory test, it's  
24 still a presumptive test, especially if the chemicals or  
25 materials that the Combur test has a false positive or  
26 similar to ones that luminol may have a false positive, you  
27 may not get that. You still need a test that's specific  
28 for both human blood or firm visualisation or seminal fluid  
29 that would confirm that if so desired.

30

31 MS REECE: So does that also mean that, for example, if the  
32 presumptive tests are both positive, the blood or the  
33 sample still can't really be called a blood sample until  
34 that confirmatory test has been carried out?

35

36 DR BEDOWLE: That's correct.

37

38 MS REECE: In fact there is some hesitation, isn't there,  
39 in forensic science to give evidence positively of the  
40 presence of blood when there's not also visual evidence  
41 consistent with the presence of blood?

42

43 DR BEDOWLE: Often I think that's the case but again if  
44 something was diluted down, you know, tried to wash away  
45 where it may not be visible, if you had a test that was  
46 sensitive enough to confirm it I think some individuals,  
47 many individuals would then say it's blood, but when you

1 get to very low levels the question then becomes is it  
2 blood or something you didn't test for such as sweat or  
3 skin cells that may have had DNA in it? So it becomes  
4 complicated depending on the case and scenario.

5  
6 MS REECE: Sure. And you've just spoken about false  
7 positives. False positives are results obtained from  
8 presumptive tests which appear to demonstrate the presence  
9 of biological evidence or matter, but in fact may cause  
10 that reaction because of their own inherent properties of  
11 something which is not human blood or any other human  
12 substance. That's a false positive, isn't it?

13  
14 DR BEDOWLE: Well I guess I should clarify. Maybe I  
15 shouldn't use the word false positive. The test as it is  
16 is detecting what it should detect, whatever that is. If  
17 you believe that the test is solely to identify blood, then  
18 it would be a false positive, but since we know these tests  
19 do cross react with other materials, it's giving a correct  
20 answer, it's just not conclusive for the presence of blood.

21  
22 MS REECE: What kind of substances react similarly with  
23 presumptive testing for blood?

24  
25 DR BEDOWLE: Often materials that have oxidative properties  
26 in them. So it could be like (indistinct words) could do  
27 that, we've heard rust. Sometimes, you know, depending on  
28 (indistinct) tomato sauce, other kind of objects can do  
29 this as well. Meat, you know like steak, also would do  
30 that because you would expect blood to be in beef and other  
31 materials, so they would give a positive reaction. They  
32 may not be indicative of human blood.

33  
34 MS REECE: All right. And, Ms Veth, is there anything you  
35 wanted to add to what Dr Bedowle has just said about  
36 presumptive testing for blood?

37  
38 DR VETH: Only that it is presumptive and if you get a  
39 strong positive, even in the presence of a strong positive  
40 it is still presumptive for blood.

41  
42 MS REECE: And, Dr Wright, I again see you nodding and so  
43 I'll bring you in at this point. You agree, don't you,  
44 that presumptive testing for blood doesn't, of itself,  
45 demonstrate that blood is present?

46  
47 DR WRIGHT: Absolutely. Even if you apply two presumptive

1 tests and they were both positive, that still doesn't mean  
2 it's confirmatory. So we simply don't know from these  
3 samples from the vehicle if they really were blood or not.  
4

5 MS REECE: One of the theories you put forward in your  
6 addendum report, bearing in mind, and perhaps for those  
7 listening who don't know this evidence quite as well as you  
8 all do, these samples that are up here are from the car and  
9 the majority of these samples did not return good DNA  
10 results.

11  
12 DR WRIGHT: All twelve samples were reported by the lab as  
13 no DNA detected.  
14

15 MS REECE: There were some items in the car, but they were  
16 a water bottle and another item I think?  
17

18 DR WRIGHT: A cigarette butt, yes.  
19

20 MS REECE: The samples that you're talking about, these  
21 ones are swabs for blood?  
22

23 DR WRIGHT: Correct.  
24

25 MS REECE: And there were some trace samples taken as well?  
26

27 DR WRIGHT: Correct.  
28

29 MS REECE: But when we're looking at these blood samples  
30 one theory that you have put forward for why - to explain  
31 perhaps the absence of the second presumptive test coming  
32 up positive, so we're really talking about the four final  
33 examples, so V48 the steering wheel, V49 the ignition, V50,  
34 V51, your theory, as I understand it, is that there's a  
35 positive response to luminol?  
36

37 DR WRIGHT: Correct.  
38

39 MS REECE: But then a negative to the Combur testing?  
40

41 DR WRIGHT: That's correct.  
42

43 MS REECE: And your theory is that what happens in the  
44 intervening method of collection may have removed all of  
45 the biological material from the swab area?  
46

47 DR WRIGHT: Correct. These were non visible stains, so

1 latent, if there even was biological material there. So  
2 that would indicate that if there was biological material  
3 there it would be present in very small amounts. So  
4 swabbing that area would potentially remove all or most of  
5 that material so when you applied a second presumptive test  
6 it may show even negative or weakly positive results.

7  
8 MS REECE: And just on that point about being small amounts  
9 of or small traces, the method employed with luminol is to  
10 spray an area with a spray which then luminesces with -  
11 perhaps you can explain it, I'm not doing a very good job.  
12 How does a police officer apply luminol to a search area?

13  
14 DR WRIGHT: It's in a spray bottle, the chemical is mixed  
15 up and a fine mist is sprayed over the surfaces of interest  
16 and if there's biological material or other material that  
17 may cause a false positive, there'll be a colour change to  
18 a bright blue.

19  
20 MS REECE: And that then luminesces with particular light,  
21 doesn't it?

22  
23 DR WRIGHT: Correct. So the lights are turned off and you  
24 can see a luminescence, which would then direct the  
25 operator towards a particular area and in this instance the  
26 operator swabbed that particular area in the hope that it  
27 would remove biological material if it was present.

28  
29 MS REECE: I'm just going to, just so the people in the  
30 court are aware, I'm just going to show a photograph of the  
31 vehicle. I'm not going to show any photographs of other  
32 samples, but these photographs I think are useful,  
33 Dr Wright, perhaps in exploring this theory that you have.  
34 So I'll just ask for QPS.0001.0099.0001 to be shown please,  
35 Mr Operator. And it's at p0080. I'm just looking for p80.  
36 Thank you. Dr Wright, what you see there is the driver's  
37 side of a vehicle?

38  
39 DR WRIGHT: Yes.

40  
41 MS REECE: This is the vehicle of interest that was  
42 searched by Officer Brock?

43  
44 DR WRIGHT: Yes.

45  
46 MS REECE: Am I right in understanding the blue, the bluish  
47 purple substance which you can see on the steering wheel

1 shaft there and around the steering wheel and ignition,  
2 that that's the luminol, at least as apparent as it can be  
3 to a photograph?

4  
5 DR WRIGHT: That's correct, it's a luminol positive area.

6  
7 MS REECE: And this is what correlates to sample V48 and  
8 V49, the steering wheel and the ignition?

9  
10 DR WRIGHT: That's correct. So there's two different areas  
11 that are luminol positive, around the steering wheel there  
12 you see and slightly to the right and lower is around the  
13 ignition and to be honest I think the sample from the  
14 ignition is potentially a positive negative. It's uniform  
15 in shape and I think reacting with the metal, but I think  
16 the officer took that sample anyway just in case there was  
17 a true positive being masked by a false positive.

18  
19 MS REECE: And with V48, which is the steering wheel, is  
20 that the one where you think it's more likely to have been  
21 - where you don't have the same concern as the ignition?

22  
23 DR WRIGHT: Correct. I think V49, the ignition, I think  
24 that's potentially reacting with the surface of the  
25 vehicle.

26  
27 MS REECE: Okay. So if I could ask that we see p44 of that  
28 same - no, sorry, there's a new document.  
29 QPS.0001.0100.0001 at p44. All right, that's not what I  
30 was expecting. So I will just move on from that anyway.  
31 Dr Wright - and, Mr Operator, if we could go back to the  
32 previous photograph. Do you need me to read you the  
33 document number? So while that previous photo is coming  
34 up, Dr Wright, the reason I show it to you is at least to a  
35 totally lay-person the luminol apparent or what appears to  
36 have reacted with luminol in that picture does appear to be  
37 quite a large area?

38  
39 DR WRIGHT: Yes.

40  
41 MS REECE: Would you agree with that?

42  
43 DR WRIGHT: Yes.

44  
45 MS REECE: So I guess I'm asking whether this explanation  
46 that you've given about the swab removing the biological  
47 material, do you think that that is, does that cause you

1 any concern when you look at the size of that luminol, of  
2 that area that's luminesced, that all of the DNA material  
3 may have been removed by swabbing it?  
4

5 DR WRIGHT: I think it's possible, depending on how the  
6 operator collected the sample, how wet the swab was.  
7 Typically you keep on running the swab over the surface  
8 until the wetting agent isn't wet any more. So it is  
9 possible and it depends on then which location the second  
10 test, the Combur test, was applied. So the Combur test  
11 strips are really only small, very small squares, so if  
12 they can't actually run over a large area - so the  
13 scientific officer potentially would have chosen a smaller  
14 area within that luminol positive area to do the Combur  
15 test. So again we're left with the question we really  
16 don't know if it's blood or not.  
17

18 MS REECE: You agree with what you heard Dr Bedowle say,  
19 that there are a number of things that can create a false  
20 positive with luminol?  
21

22 DR WRIGHT: Yes.  
23

24 MS REECE: And one of them is meat?  
25

26 DR WRIGHT: Yes.  
27

28 MS REECE: It's difficult in a pretty dirty car like this  
29 really to rule out perhaps some of those potential matters  
30 that may have been interacting with the luminol?  
31

32 DR WRIGHT: Absolutely, we can't be sure.  
33

34 MS REECE: It just leaves question marks really, doesn't  
35 it, rather than any indication that there was blood  
36 presence in the car?  
37

38 DR WRIGHT: That's right. The table you showed before and  
39 the reason that I highlighted the sequence is, I know there  
40 was a lot of confusion about the either Combur negative or  
41 luminol negative results and why that would be. The table  
42 you showed before is really to demonstrate it should be  
43 that first presumptive test which should be relied upon the  
44 most to indicate whether blood may be present or not. The  
45 second test I think is unreliable because I believe that if  
46 there was any biological material there, that it may have  
47 been removed by the swabbing.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

MS REECE: And just on that point about the swabbing, I suppose that poses the same question. You'd agree, wouldn't you, that at this juncture later in February when these swabs are taken a wetting agent would have been used. Luminol itself doesn't wet the surface to the extent that blood can then be removed, do you still have to use a wetting agent on a swab?

DR WRIGHT: Yes, with luminol when you spray the mist you don't want to spray too much because it may dilute any blood that's there. So if you've applied it correctly you should then still definitely need a wetting agent to collect any sample.

MS REECE: And I suppose that then means that these swabs used in the car may have been impacted by that same ethanol issue that we discussed earlier today?

DR WRIGHT: Absolutely.

MS REECE: I'm not sure if at the time I gave you an opportunity to comment about that, that is I think you talked about the fact that you had received, in your work in the lab you'd received samples from North Queensland without any difficulty?

DR WRIGHT: Yes.

MS REECE: Does the use of ethanol on swabs cause you any concern?

DR WRIGHT: It's not something that I've looked into thoroughly so I'll refer it to the experts who have.

MS REECE: Ms Veth, you've heard the discussion with Dr Wright about the evidence in the car and really what can and can't be said when you have a luminol positive result like that. Is there anything that you want to say about the state of the evidence from the car?

DR VETH: Only to note that no visible bloodstaining was detected in the vehicle and the results of these tests whether you consider just the first test or the results of both tests, still leave you in the same position which is to say they were inconclusive for the presence of blood, we simply do not know if blood was present or not.

1  
2 MS REECE: Dr Bedowle, do you want to anything to that?  
3  
4 DR BEDOWLE: I just wouldn't rely so much these tests first  
5 or second. Swabbing is a (indistinct words) art as well  
6 and when you swab a large area you should be rotating the  
7 swab to the clean area so that eventually you cover the  
8 whole swab. If you continued to swab after a certain point  
9 you actually leave the positive material. So if it's large  
10 you may not have sampled --  
11  
12 MS REECE: I think we may have lost you.  
13  
14 THE COMMISSIONER: The problem might be at our end, if you  
15 can hear us, Dr Bedowle, and somebody I think is looking as  
16 well.  
17  
18 MS REECE: Ms Veth as well. She says her phone connection  
19 has been terminated.  
20  
21 THE COMMISSIONER: If you just hang on we'll see what we  
22 can sort out.  
23  
24 MS REECE: Dr Bedowle and Ms Veth, we're just making some  
25 efforts to reconnect with you. Just bear with us. We'll  
26 need to stand down briefly, Commissioner, while we  
27 re-establish the link.  
28  
29 THE COMMISSIONER: All right. Well it's ten to 1. So I  
30 just might ask the other there - ladies and gentlemen,  
31 those of you who are going to be asking questions, is there  
32 anybody who is going to be asking questions first?  
33  
34 MR HUNTER: We will be.  
35  
36 THE COMMISSIONER: How long do you think you'll be,  
37 Mr Hunter? It doesn't matter, I just want to know for  
38 planning purposes.  
39  
40 MR HUNTER: Perhaps 10 or 15 minutes.  
41  
42 THE COMMISSIONER: Yes. Mr Rice?  
43  
44 MR RICE: I wouldn't be any longer than that, Mr  
45 Commissioner.  
46  
47 THE COMMISSIONER: About ten minutes did you say?



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

MR RICE: No more.

THE COMMISSIONER: Yes. Anyone else? I just wonder whether we should just proceed through and not break for lunch after this break, having regard to the fact that it's 10 o'clock where Dr Bedowle is?

MS REECE: I'm in your hands, Commissioner.

THE COMMISSIONER: All right, that's what we'll do, we'll just continue through until you finish. How much longer have you got, Ms Reece?

MS REECE: Not much longer. I would say --

THE COMMISSIONER: All right, then we'll just break until the thing's fixed and we'll continue through to the end of this set of evidence. Were you able to hear me by the way? No. Okay. You might email them and let them know.

MS REECE: I will.

THE COMMISSIONER: Thanks.

**SHORT ADJOURNMENT.**

THE COMMISSIONER: Ms Reece.

MS REECE: Thank you, Commissioner. I'll turn now to the implementation of STRMix and PowerPlex 21 in late 2012. Ms Veth and Dr Bedowle, I might ask you to - I'll take you to your report about those validations.

DR BEDOWLE: Okay.

MS REECE: And while you find that in general the design of PP21 validation was consistent with best practice and that the STRmix validation appears to have been competently undertaken, demonstrating a good understanding of the software, you did have some concerns that flawed interpretation of data was evident in both validations, and you've raised a concern about the 132 picogram threshold being set prior to the completion of the two validations. Ms Veth and Dr Bedowle, perhaps in that order, can you explain on what basis you draw that - on which basis you hold that concern, and what does it mean for the processing

1 of samples in the lab at the time?

2  
3 DR VETH: What I think both Dr Bedowle and I in our  
4 respective reviews (indistinct) that data significantly  
5 below the 132 picograms was able to be obtained from low  
6 template DNA profiles. And also that mixtures from these  
7 low template DNA profiles could indeed be interpreted using  
8 the STRmix software. So we felt that there seemed to be  
9 efforts to use the data to support the 132 picogram  
10 threshold, in actual fact the data was telling us that that  
11 threshold was set far too high and that interpretable DNA  
12 profile results were obtainable from DNA samples containing  
13 significantly less DNA than that.

14  
15 MS REECE: That 132 picogram threshold, is that a factory  
16 setting or a recommended setting? How did the lab arrive  
17 at that particular threshold?

18  
19 DR VETH: So we think that because samples that have left a  
20 less amount of DNA in the exhibit, what we call stochastic  
21 issues, which means that the peaks aren't nicely balanced  
22 and you get (indistinct) from the DNA profile. Perhaps the  
23 laboratory was setting a threshold to avoid having to  
24 interpret these types of more complicated DNA profiles.  
25 However these profiles are interpretable and especially  
26 when you're using a tool like STRmix. Dr Bedowle, do you  
27 want to add to that?

28  
29 DR BEDOWLE: Sure. I think what it is, the 132 picogram is  
30 probably a derivative of issues that predate the use of  
31 STRmix and other probabilistic genotyping tools that would  
32 facilitate typing. So it would be part of that - let me  
33 start back further. Every sample has stochastic effects.  
34 There are always some random effects on the analysis, they  
35 don't come out perfect every time. Just as the amount of  
36 DNA reduces, the effects become greater and at some point  
37 they become too great to manage with any tool, whether you  
38 do it manually or by software. The software allowed and  
39 was to go beyond what you could do manually as it could  
40 handle far more complex situations that the human brain's  
41 not capable of doing. So prior to these methods somewhere  
42 between 100 to 150 picograms, maybe even 200, were called  
43 low copy threshold areas that the effects were exaggerated,  
44 became more difficult for laboratories to interpret. It  
45 didn't mean that all samples that were below that level  
46 couldn't be interpreted, it just meant that a good portion  
47 of them were more difficult. So I believe based on the

1 lab's own verbiage in their validation studies they locked  
2 on to this value a priority as a low copy area, and then  
3 after that they then, whatever data they had, if it didn't  
4 meet that they just assumed it did. For example, as  
5 Dr Veth said, samples could be below that. The lab was  
6 concerned with drop-out, missing data and so they did  
7 studies to assess where the missing data would occur. But  
8 at 132 picograms or in that range, all the samples that  
9 they tested, the vast majority didn't have any missing  
10 data. And even down at the 50 picogram level, which is  
11 closer to a - slightly more than a third of the 132  
12 picograms, only one sample in the study showed an allele  
13 that was missing. So the vast majority of the data  
14 supported that drop-out did not occur. Now the stochastic  
15 effects were greater, as one might expect, at 50 versus 132  
16 or greater amounts, but they didn't support that data were  
17 dropping out at a much lower level. So it's probably a  
18 bias that was developed based on what was the concerns of  
19 the - or the state-of-the-art prior to probabilistic  
20 genotyping but they carried that over into the post  
21 probabilistic genotyping arena and more sensitive tests  
22 that were available.

23

24 MS REECE: What impact do you say that that would have had  
25 on the reporting of results in --

26

27 DR BEDOWLE: I think it goes to the fundamental issues that  
28 have been discussed already in previous hearings that they  
29 chose a threshold to not analyse samples. So if the - as  
30 the Commissioner had said, if the .0088 ng/ $\mu$ L was not met  
31 they didn't proceed unless there was a request. That  
32 number - that value was way too high for the data that they  
33 generated, suggesting that a much lower amount could have  
34 been done that would have given viable data for either  
35 inculpatory or exculpatory data.

36

37 MS REECE: So again you're really talking about a loss of  
38 potential evidence?

39

40 DR BEDOWLE: Yes.

41

42 MS REECE: Ms Veth, with the implementation of the STRmix  
43 modelling software, what issues do you perceive arose for  
44 the lab in the immediate period after the implementation of  
45 that software?

46

47 DR VETH: I just prefix my answer to say that the

1 implementation of STRmix, especially the very first  
2 version, was - did require quite a large mind shift for  
3 reporting scientists. They had to think about mixture  
4 interpretation in an entirely different way. So just  
5 recalling my own experience, it's quite - it takes some  
6 time to get to grips with what STRmix can do. But with the  
7 validation - (indistinct) mixtures were interpreted through  
8 STRmix and these mixtures would contain more DNA from a  
9 particular contributor and much less DNA from another  
10 contributor and its software usually could actually  
11 interpret all of the contributor DNA profiles quite well.  
12 But there are certain types of mixtures where you have a  
13 very, very low-level contributor compared to the other  
14 contributors where the software quite rightly generates a  
15 very low-level likelihood ratio, close to 1, and this is to  
16 be expected because the software is trying to interpret  
17 very little material, you know, a very small amount of DNA.  
18 But the laboratory sort of - because these mixtures were  
19 less than the 132 picograms the laboratory used this as a  
20 reason to not progress samples that were less than 132  
21 picograms, not realising that the software was doing a very  
22 good job at determining the DNA profiles of the major  
23 contributors to a mixture, quite rightly, but not always  
24 determine the DNA profile of the trace contributor because  
25 there simply just isn't enough information available for  
26 that particular contributor. So that decision supported  
27 the 132 picogram threshold. But then when they implemented  
28 STRmix (indistinct words) it seems like there was no  
29 appreciation for the fact that half the mixture can be  
30 interpreted quite well but there may be a contributor that  
31 can not be contributed quite well. So if we take the  
32 Blackburn case in particular, there were several samples  
33 where the majority of the DNA profiling result had come  
34 from Ms Blackburn, and this was to be expected, these were  
35 samples from her clothing for example. But there might be  
36 one or two DNA profiling results that have come from  
37 someone else, (indistinct) possibly, and instead of  
38 thinking about whether those one or two DNA profiling  
39 results were reliable for further interpretation, they were  
40 interpreted and compared to reference samples that had been  
41 significant for the case, and for this particular case  
42 there were more than 70 reference profiles that were  
43 available for comparison. And likelihood ratios were  
44 reported for any (indistinct words) very low-level results.  
45 I think that ultimately created quite a lot of confusion.  
46 Quite possibly this is one of the first cases where this  
47 mass comparison of mixed DNA profiles to a database of

1 reference profiles was undertaken, I'm not sure about that  
2 but it's quite possible that this was one of the earliest  
3 cases where this happened. And I just question this policy  
4 of reporting these very low-level likelihood ratios based  
5 on very little data. There were some other issues in the  
6 laboratory that were occurring at the time. We were  
7 bringing in a more sensitive DNA profiling kit, such as  
8 PowerPlex 21, there was increased sensitivity. You start  
9 detect more contamination and other contamination that we  
10 call drop in, and also the laboratory was reporting that it  
11 was having issues with another phenomenon called carry over  
12 which is related to the capillary electrophoresis  
13 instrument. All of these things combined, these three  
14 types of different contamination. Also they were concerned  
15 about the reporting of these very low-level profiling  
16 results and the comparison of these very low-level  
17 profiling results to the recent samples that you've  
18 submitted in relation to this case. I apologise that was a  
19 very long answer.

20

21 MS REECE: No, it was very useful. I think the sample that  
22 has been perhaps discussed in this context is L45, which is  
23 the trousers of Ms Blackburn, and the evidence relating to  
24 the likelihood ratio of I think initially - you talk about  
25 it in your report that there was a likelihood ratio  
26 associated with that particular individual of something  
27 very close to 1, that's the sample you're talking about, or  
28 one of them?

29

30 DR VETH: Yes.

31

32 MS REECE: And I understand that you're saying you think it  
33 was a mistake or you don't understand why results of that  
34 which were really, with a likelihood ratio that close to 1  
35 were being reported?

36

37 DR VETH: Yes. Now I should clarify. There is some debate  
38 over how these low-level or whether these low-level  
39 likelihood ratios should be reported and that debate  
40 continues, because there are some experts who think that  
41 everything - every likelihood ratio generated should be  
42 reported. My own personal opinion is that before  
43 generating likelihood ratios you must first consider  
44 whether the data is suitable for comparison purposes, and  
45 that step I don't think was being undertaken in the  
46 laboratory, and because of that I think like every ratio  
47 quite possibly was being generated based on results that

1 perhaps weren't (indistinct) to the sample and perhaps were  
2 actually evidence of contamination, whether it be the  
3 phenomena drop ins or carry over, or simply just really  
4 low-level results that may not actually be DNA at all and  
5 may be some other artefact. So I think it's this primary  
6 step of making sure that the profiling results that you are  
7 using for comparison purposes are robust. And there are  
8 mechanisms to try and do that. You can try and replicate  
9 the (indistinct) final result. It may not necessarily be  
10 successful but can be useful. Or you make a decision that,  
11 you know, if you have just one or two DNA profiling results  
12 that are foreign, that perhaps there's too few in order to  
13 be able to make a meaningful comparison.

14  
15 MS REECE: My understanding of what you've said and  
16 referring to your report as well is that while there are  
17 guidelines from a scientific working group on DNA analysis  
18 methods which state that likelihood ratios appropriately  
19 express the strength of the evidence and should be reported  
20 no matter how low or high the numerical value, what you're  
21 saying is that policy position really has to occur within a  
22 set of circumstances that give you certainty or at least  
23 sufficient certainty about contamination of the profile or  
24 these other concerns that you've raised about whether that  
25 likelihood ratio is reliable?

26  
27 DR VETH: Actually the laboratory needs to have some robust  
28 mechanisms in place to ensure that whatever you're  
29 comparing, whatever profile results you're comparing, that  
30 they are actually comparing to the sample and not some  
31 artefact or evidence of some sort of contamination. And if  
32 you do then go ahead, if you have reasonable confidence  
33 about your low-level profiling results and reasonable  
34 confidence about the number of contributors that have  
35 debated that DNA, you go ahead and undertake a likelihood  
36 ratio and it ends up being - and it's quite low, that you  
37 communicate fully with the recipient of the information,  
38 whether it be the investigators or the court, exactly how  
39 meaningful that result is or what that result actually  
40 means or the limitations, the limitations of the profiling  
41 result that you've based that likelihood ratio on. There  
42 does also need to be further communication should you elect  
43 to perform a likelihood ratio on very sparse or low-level  
44 DNA profiling results.

45  
46 MS REECE: I think that communication issue is an important  
47 one and perhaps all of us involved in this inquiry, as

1 lawyers anyway, have learnt a great deal about DNA over the  
2 past while, but it seems evident from the likelihood ratio  
3 of perhaps 6 or 7 reported in relation to L45 that there  
4 may at times be a misunderstanding of what exactly that  
5 means. What does that tell you about whether someone can  
6 be included or excluded, or included I suppose, at a crime  
7 scene? How would you explain how meaningful a likelihood  
8 ratio of 7 is?

9  
10 DR VETH: We should also remember that in the case of L45  
11 there were five people who generated likelihood ratios  
12 close to - there wasn't just one person, there were  
13 actually five. And this is to be expected when you are  
14 working with very few DNA profiling results and you are  
15 comparing them to a database, in this case of some 70-odd  
16 reference samples, that you are going to get adventitious  
17 matches, matches that occur solely by chance. If these  
18 results had been compared to a database of people who had  
19 nothing to do with this case you also would have obtained  
20 inclusionary likelihood ratios, also likely close to 1. So  
21 the point of that, just because five people have been  
22 reported as having an inclusionary likelihood ratio or very  
23 low, close to 1, we can't assume that any one of them is  
24 actually the source of the DNA. But it seems in this case  
25 - I'll stop.

26  
27 THE COMMISSIONER: Dr Veth, you said you can't assume that  
28 any of them are the contributor to the DNA or even a  
29 contributor to the DNA?

30  
31 DR VETH: Correct.

32  
33 THE COMMISSIONER: Thank you.

34  
35 MS REECE: Dr Wright, this picks up on an issue you've been  
36 concerned about, which is the way in which that particular  
37 result was relied upon. You'd agree with what Ms Veth has  
38 said about how meaningful a likelihood ratio of close to 1  
39 is in an evidentiary sense?

40  
41 DR WRIGHT: Yeah, that's right. I think that it has a real  
42 risk of confusing the recipients of that information, being  
43 the court and the jury. I think if you're - if the lab is  
44 going to report such low likelihood ratios, which as  
45 Dr Veth said may not actually even be part of the DNA  
46 profile, L45, my position is I don't even think it's a DNA  
47 mixture, I think it's a single source with some drop in.

1 If those risks and limitations aren't appropriately  
2 conveyed to the court then, you know, perhaps the incorrect  
3 weighting can be mistakenly placed on that evidence. But a  
4 likelihood ratio of 8, essentially that means 12 per cent  
5 of the population would have those minor pieces of DNA. If  
6 we look in the room today it's probably five people would  
7 have, you know, those pieces of DNA just by chance.

8  
9 MS REECE: Yes, understood. Ms Veth, I've been commenting  
10 like this with Dr Wright but I did just see you nodding, do  
11 you agree when you look at the electropherogram for L45  
12 that it's possible that what you're actually seeing is not  
13 in fact evidence of an additional DNA profile?

14  
15 DR VETH: Yeah, the additional two profiling results are  
16 very low-level, they could well be drop in or some sort of  
17 artefact. They haven't been replicated. So given the  
18 concerns that the laboratory had raised about this where  
19 increased (indistinct words) contamination issues and carry  
20 over, I wouldn't want to rely on those two profiling  
21 results.

22  
23 MS REECE: I understand. Those issues of course are  
24 developed in your report and we can't cover all of it but I  
25 understand that you're saying that that has particular  
26 relevance when it comes to interpretation of these low  
27 profiles. Dr Bedowle, you've been in DNA science for quite  
28 a long time I think it's fair to say?

29  
30 THE COMMISSIONER: He's an immortal.

31  
32 MS REECE: He's an immortal.

33  
34 DR BEDOWLE: Or it's actually you're saying I'm very old is  
35 what you're saying.

36  
37 MS REECE: I guess the reason I put that to you is because  
38 over the period of time you've been involved in this  
39 science the tension between the science and communicating  
40 the science is ever-present, isn't it?

41  
42 DR BEDOWLE: Yes. Let's look at this in a broad way first.  
43 STRmix is a fantastic tool, it has vastly improved what we  
44 can do but it's a tool and it's there to assist the  
45 scientist in making proper decisions. As Dr Veth said,  
46 sometimes you look at a profile you say, "This one is not  
47 deep" and move forward. Sometimes you look at it and say



1 it would. There are some situations with minor profiles  
2 that might yield a good strong likelihood ratio depending  
3 on where the peaks show up and where they are in relation  
4 to the major contributors. So we have to be sure that  
5 we're involved in the process of making proper assessments  
6 to make full use of the sample, not just running samples  
7 through them. This one's a little more challenging, L45,  
8 because you've got remember, rightly or wrongly, and I  
9 believe wrongly, the laboratory set this 132 picogram  
10 threshold as a point of anything below that was unwieldy  
11 and uninterpretable. If we take these few peaks that are  
12 very low, and I think I remember it was something like 4  
13 per cent contributor at that level, that falls well below  
14 the 132 picogram value. So there's a disconnect between  
15 those who have set the policy and those who are analysing  
16 data, because if the policy says 132 picograms, it makes it  
17 difficult and we shouldn't proceed, then there shouldn't be  
18 any labelling of peaks at that low-level. However there  
19 are (indistinct) peaks and they could be true DNA from a  
20 minor contributor, they could be some other artefact. One  
21 of the concerns of working with this very low-level was the  
22 lab had a serious carry over problem that they couldn't  
23 apparently resolve at that timeframe, and therefore the  
24 carry over from another sample could be contributing those  
25 peaks. We just don't know without further work. So  
26 there's a lot of issues with this.

27

28 The last one is I agree with the working groups that you  
29 should report what you get. Communication is a very  
30 important part of the process. In writing a report it just  
31 gives a value without explaining what it means, especially  
32 in the context of finding 50 some odd other individuals and  
33 seeing if any of them would match isn't helpful, because  
34 reports go to people, lay people who are lawyers, judges  
35 and investigators who may not appreciate the significance.  
36 So just reporting a number without giving it some meaning  
37 within the context of the case or at least informing in  
38 some fashion is not being of service to anybody.

39

40 MS REECE: Dr Wright, I think I gave you an opportunity to  
41 comment on the actual profile itself but you'd agree with  
42 these comments being made about education and communication  
43 of these sorts of scientific concepts?

44

45 DR WRIGHT: Yes, absolutely.

46

47 MS REECE: I think you talked about the juries and judges

1 and the interaction between those groups and this kind of  
2 evidence is obviously critical. Ms Veth, Dr Bedowle and  
3 Dr Wright, was there anything else any one of you wanted to  
4 particularly address in relation to the implementation of  
5 PP21 and STRmix before we move on from that topic?  
6

7 DR BEDOWLE: Yes. I think there's one thing to consider  
8 and we put it in the reports. Bringing on PowerPlex 21  
9 itself would have been a challenge but it would have been  
10 similar to bringing on previous STR kits or DNA typing  
11 kits. Being on STRmix at the same time, which is a  
12 fundamental change for laboratories back in that time  
13 frame, people were trying to understand and struggling,  
14 taking both on and trying to make a deadline that was  
15 placed upon them I think was also a failure. One is those  
16 who set the deadline didn't appreciate the significance and  
17 are part contributors to the problem. But the lab also not  
18 recognising the depth of the challenges, in trying to meet  
19 it they have failed themselves in properly understanding it  
20 and implementing it and training their people. So the  
21 combination of the two at once without all the  
22 appreciation, and the other labs as I understood asked for  
23 extensions, they recognised that it wasn't feasible to do  
24 both of these things at one time without more time. I  
25 think this lab should have evaluated that as well and  
26 perhaps that would have helped them get to a better place.  
27 But it's not all their fault, someone else placed the  
28 burden on them and they didn't appreciate that part of it  
29 as well.  
30

31 MS REECE: One of the criticisms you do make was that the  
32 laboratory was remiss in not conducting a proper six month  
33 review after implementing PP21?  
34

35 DR BEDOWLE: Yes, that's correct.  
36

37 MS REECE: Dr Wright, I think you had a particular  
38 criticism perhaps around the implementation of PP21. Would  
39 you like to elaborate on that? I think I cut you off  
40 earlier in your evidence about it?  
41

42 DR WRIGHT: No, that's fine, I agree with Dr Veth and  
43 Dr Bedowle. I think the tools themselves are very good  
44 quality tools but, as I've previously highlighted, that I  
45 don't think they were in, I think they were improperly  
46 implemented and inappropriately used, which goes to the lab  
47 policies and so forth, creating real potential for error,

1 false exclusions and false inclusions and, you know, I  
2 guess there's a question mark over a large range of  
3 evidence and we don't know how long that has persisted for  
4 either.

5  
6 MS REECE: When you say a question mark, you mean this  
7 issue where this threshold was imposed under which we may  
8 very well have seen results obtained?

9  
10 DR WRIGHT: The thresholds in relation to the drop-in  
11 thresholds used for STRMix and the quantitation thresholds  
12 and the limit of reporting thresholds. So the  
13 interpretation of the data being produced by the laboratory  
14 and reported, I think there's a high risk that there's some  
15 genuine errors there.

16  
17 MS REECE: Dr Bedowle and Ms Veth, would you agree with  
18 that concern?

19  
20 DR BEDOWLE: You can go first.

21  
22 DR VETH: Okay. Yes. Beginning with the STRMix.  
23 Certainly further mixture studies could have been done that  
24 would have supported the notion that mixtures from DNA  
25 samples with less than 132 picograms couldn't then be  
26 interpreted. Then and the drop-in cap, the drop-in cap, as  
27 I said, in STRMix, the drop-in cap in the parameters. The  
28 laboratory was monitoring drop-in after the implementation  
29 of PowerPlex 21, which is great that they were doing that.  
30 The drop-in rate said to be increasing and the heights of  
31 the drop-in peaks also seemed to be increasing. To our  
32 knowledge the drop-in cap, which would sit quite low and  
33 based on very little, on a very low rate of drop-in, it  
34 came from the PowerPlex validation data. This was set in  
35 STRMix version 1.05. In my opinion because they were  
36 seeing increasing rates of drop-in and the height of the  
37 drop-in peaks, it should have been reassessed in STRMix  
38 (indistinct words) six months after PowerPlex 21  
39 implementation when they had some data indicating there was  
40 increases in rates in heights. To my knowledge it still  
41 hadn't, they still hadn't amended the STRMix settings as  
42 late as December 2013 and it seemed that when version 2 was  
43 implemented there's actually no mention of drop-in at all  
44 in that particular validation. So I'm concerned that with  
45 the STRMix interpretation and the way it was set up, the  
46 STRMix program was underestimating the rate of drop-in that  
47 was actually occurring within the laboratory and its

1 interpretation.

2

3 MS REECE: Dr Bedowle?

4

5 DR BEDOWLE: I don't think I have anything more to add to  
6 it other than I think the six month reviews flows into what  
7 the Commissioner asked earlier about quality management.  
8 That when you have a system you put online it's incumbent  
9 upon you to assess it after a certain time frame and the  
10 lab said there were staffing issues and there were little  
11 things that occurred all along, so it wasn't necessarily -  
12 they did it three years later which is, in my opinion, way  
13 too late for an assessment, especially of a new system. We  
14 also saw that this is not unique to this one event, even  
15 though in 2016 they recognised the importance of a six  
16 months review as part of one of their findings.

17

18 In the Options Paper remember they were supposed to do a  
19 review of the performance after they enacted the option  
20 with the police and that didn't occur in the six months  
21 either, so what this all says is there's still a quality  
22 issue that needs to be enacted so that they can properly  
23 assess performance and some of these things like drop-in  
24 maybe would have been found if there was a six month  
25 review, (indistinct words) the stutter errors that occurred  
26 in the (indistinct words) STRMix or some of the other  
27 things that they saw.

28

29 Mistakes happen, people don't know everything, you learn  
30 sometimes as you go along with any technology, but not  
31 assessing them in a timely fashion puts them at a large  
32 risk for having errors that can occur or missing important  
33 factors that can improve their process.

34

35 MS REECE: And the longer time goes on the more difficult  
36 that becomes?

37

38 DR BEDOWLE: Well, actually the more difficult it becomes  
39 to fix it if you have the serious error that might have  
40 impacted casework, that means you have to go back and  
41 address a lot of cases. If you catch it in six months or  
42 three months you have to address fewer cases. If you  
43 identify it - in fact, they identified early on a problem  
44 with the PP21, the PowerPlex 21, where they were using half  
45 volume reactions from the get-go and then immediately, very  
46 soon after realised that that wasn't working for them, the  
47 interpretation was challenging, they had a lot of issues

1 (indistinct) them. That's a good sign. I would suggest  
2 they should have recognised that during validation but they  
3 didn't. They put it online and quickly addressed it  
4 because it wasn't working. (Indistinct) reviews, that's an  
5 example where having reviews in a timely fashion they might  
6 find other examples that would help them improve their  
7 process.

8  
9 So when we put things online we assess them on a routine  
10 basis to ensure they're working, because you learn new  
11 things when you put them into the real world and they would  
12 have learned that you can't assess the real world  
13 effectively when you do validation studies, you only  
14 capture a portion of it. So it's an important part of the  
15 process to have timely assessments and in-depth  
16 assessments.

17  
18 MS REECE: I might move on to what I understand to be  
19 perhaps the final issue which is in contention perhaps  
20 still between the three of you and after that I'll probably  
21 just ask about one or two other things and that will  
22 conclude my questions for you. But I understand,  
23 Dr Wright, that in relation to the tape lifts from  
24 Ms Blackburn's skin you would argue that because the sample  
25 from the right wrist provided a really good profile, that  
26 that causes concern when you consider the other poorer, in  
27 fact poor samples or profiles which were able to be  
28 obtained from other skin samples which were processed  
29 later. I shouldn't say skin samples, perhaps tape lifts  
30 from skin that provided poor profiles. Is that in some -  
31 that remains a concern for you?

32  
33 DR WRIGHT: Yes, I think that there's the three other tape  
34 lifts taken from the skin that provided poor results, or  
35 what I considered poor results, when I contrasted that to  
36 one sample that was taken from the right wrist, so it goes  
37 back to the discussion that we were having previously  
38 about, you know, some of these samples, we don't know how  
39 much DNA is actually recovered and it just fed into the  
40 question mark I had about the reliable processing of the  
41 samples in conjunction with the other poorly performing  
42 samples. But I acknowledge Dr Veth and Dr Bedowle's  
43 opinion that you could expect to see that kind of variation  
44 and I do accept that.

45  
46 MS REECE: And my understanding, Dr Wright, from the list  
47 of samples that were potentially caught up in this

1 extraction issue is that that particular tape lift, or  
2 those ones that you're talking about, those poorly  
3 performing tape lifts, they do not appear on that list?  
4

5 DR WRIGHT: That's correct.  
6

7 MS REECE: So they remain somewhat of an anomaly perhaps,  
8 if we consider that extraction method as an explanation for  
9 some of these poor results?  
10

11 DR WRIGHT: Yes, that's correct. I was able to obtain the  
12 positive control for those tape lifts that I was concerned  
13 about and the positive control actually performed quite  
14 well, 3.11 nanograms per microlitre, so that suggests to me  
15 that that extraction batch was performing well, which would  
16 lend itself to me agreeing with Dr Veth and Dr Bedowle that  
17 it simply came down to variation within those samples.  
18

19 MS REECE: I'm sorry, perhaps I don't understand. Are you  
20 saying you accept that there may be reasons outside of lab  
21 failures for why those tape lifts have performed  
22 differently?  
23

24 DR WRIGHT: I think after looking at its positive control  
25 for that batch containing those tape lifts from the skin,  
26 I'm confident that they weren't effected, you know, by this  
27 issue that we've suggested.  
28

29 MS REECE: Yes.  
30

31 DR WRIGHT: That it's more likely to be, as Dr Veth and  
32 Dr Bedowle discussed last week with myself, that it's due  
33 to just variation within the sample. So I'm no longer  
34 concerned about those samples.  
35

36 MS REECE: All right, I understand. And, Ms Veth, your  
37 evidence in relation to taking tape lifts from skin  
38 samples, is that essentially that recovery can be quite  
39 poor and variable as between tape lifts even from similar  
40 areas of the body?  
41

42 DR VETH: (Indistinct words) unexpected but it's because  
43 skin cells are - and I never really quite know how to  
44 pronounce this - keratinised, so they no longer contain  
45 DNA, and if you get a good result from a skin swab or a  
46 tape lift it's possible that what you're actually  
47 recovering is some sort of body fluid that happens to be in

1 that particular area, which can happen if you touch our  
2 eyes or, you know, wipe your nose, whatever, you'll get  
3 body fluid on your skin and that will have a lot of DNA,  
4 compared to the amount of DNA that you recover just mainly  
5 from skin cells. So I think what we're seeing here is  
6 perhaps not unexpected for us and which is pretty typical  
7 of results that we do get from samples taken from skin.

8  
9 MS REECE: All right, thank you. Dr Wright, was there  
10 anything further you wanted to say about that?

11  
12 DR WRIGHT: No.

13  
14 MS REECE: I am going to take you now to a question which I  
15 did outline somewhat in my opening, which I think Dr Wright  
16 heard but perhaps you and Dr Bedowle didn't, Ms Veth. In  
17 your report, and this is when you discussed the threshold  
18 for reporting at the time or the threshold even for further  
19 processing of DNA insufficient or no DNA detected, you  
20 paint a picture of a lab which was under significant  
21 pressure at the time and had made some decisions around  
22 work flow changes. Can you tell the Commission what you,  
23 the picture that arose in your mind when you were reading  
24 the material about what was happening in late 2012, 2013  
25 and how it was impacting on the lab?

26  
27 DR VETH: Yes. So Dr Bedowle and I have already spoken  
28 about the threshold of 132 picograms that seemed to be  
29 imposed to avoid having to interpret more complicated  
30 profiling results because of stochastic effects.

31  
32 As I understand it from the documentation that was  
33 provided, prior - let me step back. In the PowerPlex 21  
34 validation there was a recommendation written in it which  
35 is called Recommendation 3, that samples with DNA  
36 concentrations below 0.01 nanograms per microlitre should  
37 not be processed, should not be routinely processed. And I  
38 understand that prior to PowerPlex 21 with volume crime  
39 samples with (indistinct) DNA concentration also would not  
40 be routinely processed in volume crime, but after PowerPlex  
41 21 was implemented it seemed like the threshold was then  
42 extended for major crime samples, which I think are  
43 referred to as P2 samples. Although the SOP and the  
44 recommendation 3 suggests that pretty much any sample  
45 that's below that concentration would not be routinely  
46 processed. And I say in my report that I wasn't sure  
47 whether this was a decision that had been discussed with

1 QPS in advance. It was communicated to them, but I don't  
2 know if it was discussed with them in advance, and we would  
3 discuss that, you know, it's entirely possible to obtain  
4 interpretable DNA profiling results from samples that had a  
5 lower concentration than 0.01 nanograms per microlitre.  
6

7 We argue in our report that while this threshold may be  
8 suitable for volume crime where your purpose is to try and  
9 obtain a DNA profile that is suitable for loading to a  
10 national database, for example, with major crime samples we  
11 don't believe that this is an appropriate threshold. As  
12 we've already said, we can get DNA profiling results from  
13 samples with much lower DNA concentration and in a major  
14 crime, in a major crime investigation the profiling results  
15 obtained from such samples could be very informative to the  
16 investigation, whether they be exculpatory, inculpatory or  
17 just provide more information than what is available from  
18 simply not testing the sample to begin with.  
19

20 MS REECE: In your report at paragraph 86 you say when you  
21 refer - you refer to an email exchange which I've put into  
22 evidence today, but in short form you say this text seems  
23 to suggest that the extension of the policy to major crime  
24 samples was designed to offset the longer turn around times  
25 anticipated from interpreting and reporting the results  
26 obtained from samples processed through PowerPlex 21 and  
27 this change was communicated as an advantage because it  
28 would likely produce faster turn around times for a  
29 significant number of samples that would now be  
30 automatically stopped after the quantification step.  
31

32 In that correspondence that you've seen it's quite clear,  
33 isn't it, that police are applying some pressure about turn  
34 around times?  
35

36 DR VETH: (Indistinct) the focus of that email, which was  
37 from the FSS to Queensland Police was very much to explain  
38 the additional burden that implementing PowerPlex 21 had  
39 created because there are more DNA profiling results to  
40 interpret, there is an additional burden with having to  
41 interpret those profiles. The good news is that we  
42 extended this policy and it will mean that the more results  
43 will get (indistinct ) quickly because we're simply not  
44 going to process them.  
45

46 MS REECE: You formed the view in your report that this  
47 potentially did a disservice to the police in that while it



1 may have had its advantages, it actually also potentially  
2 led to a loss of evidence?

3

4 DR VETH: Absolutely, absolutely. And we could see that in  
5 the Blackburn case where samples (indistinct) QPS requested  
6 that samples be tested after they had been stopped by FSS,  
7 and even though the results weren't necessarily probative,  
8 they were at least more informative than reporting nothing  
9 at all would be my view.

10

11 MS REECE: A low quantitation is more informative than a no  
12 DNA detected result?

13

14 DR VETH: Exactly, yes.

15

16 MS REECE: That's a matter which has already been discussed  
17 at some length in this Commission, so I won't dwell on it.  
18 Dr Wright, do you hold similar concerns about the  
19 implementation of a threshold at that stage?

20

21 DR WRIGHT: Yes, absolutely, I think it was a very high  
22 threshold and their own validation data demonstrated that  
23 they could obtain profiles, so it just seems at odds with  
24 their own data and their own validation.

25

26 MS REECE: And, Dr Bedowle, could I ask for your views on  
27 that?

28

29 DR BEDOWLE: So I mean I look at a lab, because you asked  
30 us, look back at 2012 and assess the lab. Here is a lab  
31 that had a lot on its plate, not just these events, these  
32 two major tasks to implement, but also other quality issues  
33 that were beleaguering them and were not solvable, so  
34 that's the first problem, that it didn't give them the  
35 chance to assess, and so there is a move, I can see, of  
36 trying to make a higher value to reduce the effort. It's  
37 not a sound way to go. I think it hurts them, as we've  
38 said, but it's even more than that, and I personally would  
39 question, although I can see the reason for doing volume  
40 crime and reducing that to ensure that you address violent  
41 crime, but one of the things you have to think about is the  
42 long-term and maybe bigger picture, not just for this lab  
43 but for the entire Queensland - or for the world for that  
44 matter - is why are we doing DNA typing and why are we  
45 using databases?

46

47 What we have found in the US, and I think in other

1 countries, and I'm sure it's the same in Australia, is that  
2 a number of people who have been associated with violent  
3 crimes start out at lesser crimes and graduate upward. If  
4 you're not assessing the breaking and entering and the  
5 property crimes and the burglaries and whatever and getting  
6 those profiles early on, you're not going to get a profile  
7 from a violent criminal who had graduated from a lesser  
8 crime and so we have multiple victims that may occur, that  
9 could have been stopped earlier on in the process. So one  
10 has to ask the question: what is the best process in the  
11 system and then, of course, more resources are needed and  
12 more people, but if you want to look at a database and make  
13 value on it, since processing property crime is out  
14 (indistinct) concentration or at certain levels may not be  
15 the best service for the community at large. So there are  
16 a lot of questions in there to think about as you go  
17 forward on what's best practice to meet your desires for a  
18 safer community.

19

20 MS REECE: Thank you. Dr Wright, Ms Veth, and Dr Bedowle,  
21 that was going to be the questions I had to ask of you. I  
22 will revert to you briefly, Dr Wright.

23

24 You provided a report which in some ways extends beyond the  
25 Blackburn case and so we really are concerned today with  
26 how the lab was functioning at the time and matters to do  
27 with the reporting of results in her case and also  
28 collection issues. Is there anything that remains, you  
29 think, in contention between you, Dr Bedowle and Ms Veth  
30 after you've had this opportunity, first of all, to see the  
31 same material they saw, to read their report, to meet with  
32 them and to give evidence today?

33

34 DR WRIGHT: No. I appreciate the opportunity to be able to  
35 have those discussions last week with Dr Veth and  
36 Dr Bedowle and, no, there's - I think we're in agreement  
37 on, you know, a large majority, if not everything, that  
38 they've reported.

39

40 MS REECE: Commissioner, I've been reminded that I need to  
41 tender some documents. Just one in fact. It's the luminol  
42 par picture it's QPS.0001.0099.001 at p80.

43

44 **EXHIBIT #224 LUMINOL PAR PICTURE**

45

46 MS REECE: Thank you. Commissioner, that's the evidence of  
47 these three witnesses.

1  
2 THE COMMISSIONER: Thank you. Mr Hunter.

3  
4 <EXAMINED BY MR HUNTER: [1.53 PM]

5  
6 MR HUNTER: Can I just let the three of you know that I act  
7 for the Queensland Police Service and my question or  
8 questions are going to revolve around the issue of the use  
9 of a rayon swab and the selection of 70 per cent ethanol as  
10 the moistening agent. In particular, Ms Veth, I wanted to  
11 ask you, given some evidence you gave earlier this morning,  
12 about the fact that you understood that the use of 70 per  
13 cent ethanol on swabs lead to reduced collection of DNA  
14 material from bloodstains. I wanted to ask you in  
15 particular what the source was for that opinion?

16  
17 DR VETH: I believe I have a general article that suggests  
18 that - I have to admit this is not an area that I have  
19 really expert knowledge on, this is really simply something  
20 I read from a study that looked into - and, actually, I  
21 might need to correct myself because it possibly was  
22 100 per cent ethanol, it may not have been 70 per cent  
23 (indistinct words).

24  
25 MR HUNTER: Is that a study by an author, the principal  
26 author being Alacarenza?

27  
28 DR VETH: It could well be, yes.

29  
30 MR HUNTER: And it was a study from this year, 2022?

31  
32 DR VETH: I guess so. I should have prefaced my statement  
33 because a lot of these studies have come out subsequent to  
34 the work that was done in this case.

35  
36 MR HUNTER: I'm not being in any way critical of you,  
37 please don't misunderstand me. I suppose my question is:  
38 do you accept that there have been a lot of studies on what  
39 swab type is best and what moistening agent is best?

40  
41 DR VETH: I'm not sure about the moistening agent. I know  
42 there have been a lot of studies on the swab types. I  
43 think the issue here is that as far as we're aware a change  
44 was implemented that was not validated correctly. I could  
45 be wrong. I've not seen any validation documentation  
46 relating to either the (indistinct) of the swab or the  
47 choice of wetting agent.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47

MR HUNTER: You'll get no argument from me about the importance of whatever method was chosen being properly validated. Do you accept this, though, that if what happened was that the swabs were being used with distilled water and a contamination or mold was presenting as a problem, in those circumstances an immediate solution was required?

DR VETH: Yes, I understand that that is the background to the change in wetting agent. That perhaps is quite particular to the way samples are taken because the swabs are taken and they are immediately put into a tube. There are other alternatives, as I understand it, other dessicating agents could be either added to the tube or they actually already contain dessicating agents so, yes, I understand that the change was made in relation to a particular issue that arose. There may have been other alternative --

MR HUNTER: I'm not suggesting that there may not have been other alternatives, but my question was do you accept that something needed to be done immediately, whatever it was?

DR VETH: Yes. If you don't have a system that allows your swabs to dry, then you address it so that mold doesn't grow.

MR HUNTER: In terms of doing a validation study, am I right that there is a wide array of swab types from which to choose?

DR VETH: Yes, that is correct.

MR HUNTER: Some are made from cotton, but others are nylon, rayon, foam pads, that sort of thing?

DR VETH: I think if you look across the forensic community there is actually no perfect swab and different agencies will use different swab types.

MR HUNTER: When one looks at the literature, do you agree that it's quite confusing, and in some cases contradictory, between what is and is not ideal?

DR VETH: I think that's probably true and further complicated by the different types of samples that need to

1 be taken.

2

3 MR HUNTER: Am I right that there are a number of factors  
4 to be considered in deciding what is or is not the ideal  
5 swab for a particular sample and those factors include how  
6 much of the sample material is absorbed into the swab?

7

8 DR VETH: Yes, because you need the swab to collect as much  
9 material as possible, especially if it's a trace sample.  
10 Then you also need the swab to be able to release that DNA  
11 or those cells during the extraction, so it's a two-fold  
12 picture there.

13

14 MR HUNTER: So you need a swab that's able to liberate the  
15 material, as well as absorb it?

16

17 DR VETH: Exactly.

18

19 MR HUNTER: And it also has to be a swab of a type that  
20 enables or prevents I should say the degradation of the  
21 material that's being sampled?

22

23 DR VETH: Yes.

24

25 MR HUNTER: Because lots of DNA from a swab is not  
26 necessarily what's important, it's the quality of what you  
27 get that's important, isn't it?

28

29 DR VETH: You can't control that with crime scene samples,  
30 we had no control over the quality of the DNA. All we can  
31 try and do is have a system that recovers as much as  
32 possible in the extraction process.

33

34 MR HUNTER: My point is that a small amount of high quality  
35 DNA can be preferable to a large amount of local?

36

37 DR VETH: Yes, my point is that we actually have no control  
38 of the quality of the DNA or the (indistinct) material that  
39 is left at a crime scene.

40

41 MR HUNTER: I suppose what I'm getting at though is  
42 depending on what material you use there might be a greater  
43 or lesser degree of degradation once it's been taken and  
44 stored?

45

46 DR VETH: I think you want to keep degradation to a minimum  
47 once the sample is taken, which is why the issue of the

1 blood swabs being stored directly in the tubes was  
2 problematic because there we have an issue of degradation  
3 caused by mould that has occurred after the sample has been  
4 taken. It's something that we should more in control for,  
5 that should be able to be controlled for.

6  
7 MR HUNTER: Let's say the police service is confronted or  
8 was confronted with this problem of mould developing on  
9 swabs. Do you agree or disagree with me that it was a  
10 reasonable thing for them to ask the laboratory here in  
11 Brisbane, "What's the solution to this problem?"

12  
13 DR VETH: Absolutely.

14  
15 MR HUNTER: And it was a reasonable thing for them to act  
16 on any advice that they received from the laboratory, do  
17 you agree?

18  
19 DR VETH: Yes.

20  
21 MR HUNTER: It might well be that down the track they ought  
22 to have sought some evidence by way of validation of that  
23 process but in terms of a short-term solution it was a  
24 perfectly reasonable thing for them to ask the lab, "What  
25 should we do about this?"

26  
27 DR VETH: Yes, but I mean the laboratory was the best  
28 organisation to ask I think in this particular context.

29  
30 MR HUNTER: I've been asking you a lot of questions on this  
31 topic, I should perhaps at this stage invite Dr Bedowle or  
32 Dr Wright, whether either of you have any comment about  
33 what I've been discussing with Ms Veth?

34  
35 DR BEDOWLE: Yeah, I think I could because I've done a lot  
36 of work on swabs, I have a lot of knowledge of it. I think  
37 the issue of a small amount of high integrity DNA versus a  
38 lot of little is a moot point, in the sense that when  
39 you're collecting a sample you try to get as much as you  
40 can of all the DNA because we don't know how it will play  
41 out afterwards and what techniques may be used currently or  
42 in the future. So that shouldn't (indistinct). The issue  
43 then was how do you properly maintain the swab to protect  
44 the integrity once it's collected? That's where I think  
45 the problem came in because if someone takes a wet swab and  
46 puts in a closed environment it promotes mould and causes  
47 degradation. So you don't want to do that. Now I

1 appreciate the police's position of trying to find a  
2 solution. This was a solution offered but it wasn't a good  
3 solution as a process perhaps. Now I've not studied  
4 collecting 70 per cent ethanol wetted swabs to tell you  
5 what the impact may or may not be, I've only studied water  
6 that buffers detergents as sources and they seem to work  
7 well. The choice of swab, there are impacts on the choice  
8 of swab. Some swabs, as Dr Veth said, collect very well  
9 but don't release well, and usually those that collect well  
10 don't release well, and those that collect poorly release  
11 well. So there's always a balance in the decision process  
12 that one takes in that if the lab sought advice, I mean if  
13 the police sought advice from the lab, that's the proper  
14 thing to do, then the advice is what it is. If I were the  
15 police I would trust my lab to give me sound advice. I  
16 would just say there may have been better quick solutions  
17 to address the moulding that could have been better, like  
18 letting them air dry under a controlled open, sort of  
19 semiopen container or placing them into a tube with drying  
20 material which are solutions that were available at the  
21 time. If they were not advised on that they would not  
22 know. If they were advised on that then it's just a matter  
23 of decisions of cost, and again cost may not always be the  
24 best answer because it may cost you more later on. So the  
25 process is complicated. Last, I'll say there is confusion  
26 out there on what is the best swab. People don't process  
27 them under the same conditions, and if they do they process  
28 it where one swab, say rayon, under a condition that  
29 favours rayon but would be poor for nylon and vice versa.  
30 So it's very complex for any agency to take from the  
31 literature alone to make a decision. It's always important  
32 to use the literature and then give some proper studies to  
33 ensure you have made a good choice.

34  
35 THE COMMISSIONER: Dr Bedowle, I gather then from your  
36 answer that if you had been asked by a police service the  
37 question, "Would rayon and ethanol be good to use", leaving  
38 aside the fact that you haven't tested ethanol and would  
39 make no comment upon it, if you were asked a question about  
40 whether something was good to use as a swab, you would ask,  
41 "Why are you asking me? What are you addressing? What's  
42 your purpose in asking me? What kind of samples are you  
43 going to be applying this to? On what sort of surfaces  
44 and under what kinds of environmental and other conditions  
45 are you going to be collecting these samples? You might  
46 want to tell me also", you might say, "About how you're  
47 going to store them and convey them before they're used at

1 some laboratory?" That is to say before giving any advice  
2 about what swab might be useful you'd want to know a lot  
3 more than just the fact the police want to use a swab?  
4

5 DR BEDOWLE: Well I mean if the police were asking me for a  
6 swab, of course in this situation I don't think that's the  
7 question that you're asking, I think you already had a  
8 swab, but yeah, if I was going to take a swab I'd want to  
9 know what is your purpose and I would evaluate (indistinct)  
10 under their optimum conditions and then give advice to them  
11 of what's the best collect evidence. And there are  
12 different swabs that can be valuable in different  
13 situations. However if I were the police I would want one  
14 swab that covers the best it can because it would be too  
15 complicated to make decisions, carry different tools and  
16 that, so I would try and give them the one that's the best  
17 in the majority of situations.  
18

19 THE COMMISSIONER: Certainly the purposes, assuming you're  
20 in a DNA lab, when you're asked this question, the purposes  
21 for which you might use a particular swab with a particular  
22 wetting agent would not necessarily translate to the  
23 purposes for which police want to use swabs and for their  
24 particular circumstances, it just wouldn't follow  
25 automatically that the swabs you used for your purposes  
26 would fit their purposes?  
27

28 DR BEDOWLE: In some cases that would be true and others it  
29 wouldn't. But the swabs in general, as I said, they can  
30 collect materials, the wetting agents are very similar for  
31 the labs, but we may use in the lab some different kinds of  
32 swabs because we're swabbing clothing, for instance, where  
33 the police may be collecting off surfaces or entry ways or  
34 other kinds of items and that. And so depending on what it  
35 is I might use a different swab for different scenarios,  
36 and they have a better luxury in the laboratory to do so.  
37

38 THE COMMISSIONER: Yes, thank you. Mr Hunter.  
39

40 MR HUNTER: Dr Wright?

41  
42 DR WRIGHT: I don't have anything to add.  
43

44 MR HUNTER: Can I ask some questions about the issue of  
45 validation then. Given the wide variety of both swabs and  
46 wetting agents, assessing the myriad combinations of each  
47 in the context of different types of samples, that is



1 blood, semen, touch DNA and so forth, that would be an  
2 enormous undertaking to do a validation study that assessed  
3 every conceivable combination?  
4

5 DR BEDOWLE: If you want to do every conceivable  
6 combination yes, it would be enormous. But people can work  
7 from some knowledge and information and set some  
8 parameters. As I said, usually you get a swab, rayon,  
9 nylon, cotton, whatever. The manufacturers have done some  
10 study with some laboratory and they produce a procedure.  
11 What you would want to do is start with the existing  
12 procedure, assess and compare to the existing procedure of  
13 the other swabs and then say, "This one or these two seemed  
14 to work better. Now I'm going to modify, vary, test under  
15 different conditions to see if I can enhance it or see if  
16 it I can stress so it doesn't perform as well and make some  
17 decisions". SO you can hone that down to a modest number  
18 of tests to be able to do that, but still it would take  
19 some work.  
20

21 MR HUNTER: You were going to say something, Ms Veth?  
22

23 DR VETH: Yes, I was just going to say that initially in  
24 this particular scenario that we've been discussing it  
25 could have been a recently modest study just comparing the  
26 results of things that had been swabbed using ethanol  
27 compared to things that have been swabbed using water.  
28 That's just changing one variable and seeing what the  
29 downstream effects were. It could have been a modest  
30 study.  
31

32 MR HUNTER: In your view, Ms Veth, would that be a  
33 sufficient validation study for the purposes of a selection  
34 of a swab and moistening agent?  
35

36 DR VETH: Yeah, I mean I couldn't right off the top of my  
37 head come up with an adequate, you know, what the  
38 recommended number of samples and types of samples, but I  
39 expect it could be done reasonably quickly and sort of  
40 trying as many scenarios as possible.  
41

42 MR HUNTER: Right.  
43

44 DR BEDOWLE: There is one issue (indistinct). To do it you  
45 also need the laboratory to be part of the process because  
46 you have to extract the DNA, quantify the DNA, the type.  
47 And so if the laboratory is already overstressed with work

1 that could complicate your ability to form a validation  
2 study of the nature. But it's conceivable to say, "I have  
3 a swab, I have a current method. I want to change the one  
4 thing, 70 per cent ethanol", and test that on the kinds of  
5 samples you intend to collect and you do even 20 or 30 of  
6 each, but testing them could have been very complicated  
7 given the stressors on the laboratory already.

8  
9 MR HUNTER: But it's certainly not something that the  
10 police service could validate on their own, they would need  
11 the --

12  
13 DR BEDOWLE: No.

14  
15 MR HUNTER: -- analytical services of the laboratory,  
16 correct?

17  
18 DR BEDOWLE: Absolutely.

19  
20 MR HUNTER: Alternatively the laboratory could undertake  
21 the process in its entirety, that is the laboratory could  
22 set up the various substrates and samples and do it that  
23 way?

24  
25 DR BEDOWLE: In concert with the police because the police  
26 are the ones going to the crime scenes and collecting the  
27 samples. You would want to get from them what are the  
28 kinds of samples they encounter, what are the challenges so  
29 that you might be able to cover some of those confounding  
30 factors that may impact the collection of samples.

31  
32 MR HUNTER: On the subject of 70 per cent ethanol and  
33 water, is there something that's inherently wrong or bad  
34 about that choice, about that moistening agent with a rayon  
35 swab? Is there something about the chemistry or something  
36 else that is inherently wrong?

37  
38 DR BEDOWLE: I don't think there's anything about the rayon  
39 swab as an issue per se itself. I think the question is,  
40 and I just don't know the answer myself because I have not  
41 investigated it, is 70 per cent ethanol an effective method  
42 for recovering samples and maintaining the integrity? If  
43 it's an effective method, it's comparable to what you have  
44 then I say great. If it effects the integrity of the  
45 sample in some way, I don't know. To me that would be  
46 speculation to say there's something wrong with it or  
47 something right with it without more information that I

1 just don't have in my hands.

2

3 MR HUNTER: Do you have any comment, Ms Veth?

4

5 DR VETH: No, I'm sorry, I have not looked into this in any  
6 depth at all so I really can't add anything.

7

8 MR HUNTER: Can I ask you though, Ms Veth, about that  
9 (indistinct) study, the one from this year, the one that  
10 used 100 per cent ethanol. Am I right that even though  
11 there might have been some performance issues when it came  
12 to 100 per cent ethanol, nonetheless samples that were  
13 taken using 100 per cent ethanol in each case resulted in a  
14 full STR profile, that was what the authors --

15

16 DR VETH: I can't recall the actual detail of the  
17 particular article off the top of my head but the thing  
18 that did stick in my brain was the - it just didn't cover  
19 the sample quite as well. You need to remember that was  
20 blood samples in particular. I'm sorry, I probably  
21 shouldn't comment on this any further because I just cannot  
22 recall.

23

24 MR HUNTER: I was just going to put this sentence to you,  
25 the authors wrote:

26

27 *Irrespective of the tissue type, moistening*  
28 *agent and swab storage condition, full STR*  
29 *profiles were obtained from all stains.*

30

31 Does that jog your memory?

32

33 DR VETH: Yes, that on the surface sounds like a good  
34 result. I'd just need to - it just depends on the samples  
35 that they are referring to, the stains that they are  
36 referring to.

37

38 MR HUNTER: They go on to say that 100 per cent ethanol  
39 outperformed water when it came to skin cells?

40

41 DR VETH: Right, right. Which is good news.

42

43 MR HUNTER: So is the issue then that 70 per cent ethanol  
44 and 30 per cent water might be best practice but because no  
45 one's done a validation study we don't know?

46

47 DR VETH: Yes, we don't know.

1  
2 MR HUNTER: Dr Bedowle, do you agree with that proposition  
3 that it might be best practice but we just don't know?  
4

5 DR BEDOWLE: As I say I have no knowledge without doing  
6 some testing on it. Any study, you know, skin cells are  
7 different than blood versus saliva, and I don't want to be  
8 flippant but, you know, you can't - I won't be flippant  
9 because I got the immortal issue a minute ago - but the  
10 point is under controlled studies you can still get  
11 results. The question is how well does it perform across  
12 the spectrum of what you want. We just don't know the  
13 answer to that and it would just be incumbent upon people  
14 to determine that. Because the goal I think we all want is  
15 to get the best recovery possible, not just get an STR  
16 profile under one circumstance. Across the range we don't  
17 always see when we do these tests, we find out just what  
18 the discussions in the lab here, it takes working at the  
19 range of possible results or at least 95 per cent of them,  
20 those types of samples that you encounter need to be  
21 assessed and that would be important to do. Could it be  
22 good? Possibly. Could it be bad? Could it be that it  
23 works for skin cells great as you've read but doesn't work  
24 great for blood? I don't know. These are the questions  
25 that should be asked.  
26

27 MR HUNTER: I should ask you, Dr Wright, whether you have  
28 anything to add?  
29

30 DR WRIGHT: No, nothing to add.  
31

32 MR HUNTER: Those are the only questions.  
33

34 THE COMMISSIONER: Mr Hunter, would you mind giving  
35 references to any articles on the subject which you have to  
36 Ms Reece? I don't know that I'll be able to make findings  
37 based upon my own reading but it will give me very valuable  
38 context.  
39

40 MR HUNTER: That article is one that's to referred to by  
41 Professor Wilson-Wilde.  
42

43 THE COMMISSIONER: Okay, I'll find it there then, thank  
44 you. Thanks very much.  
45

46 MR HUNTER: But I'll certainly --  
47

1 THE COMMISSIONER: No, no, don't worry. I'll find it.  
2 Thank you very much. Mr Rice.

3  
4 <EXAMINATION BY MR RICE:

[3.19 PM]

5  
6 MR RICE: Thank you, Commissioner. I represent Queensland  
7 Health, I just have two short matters to take up with you.  
8 The first concerns the samples that were - the 12 samples  
9 that were taken from the vehicle, and perhaps to assist  
10 with what I want to draw attention to I might bring up the  
11 table that's represented in your report, Ms Veth, at page  
12 5. The document is the report, it's EXP.0007.0003.0001\_2.  
13 It's at page 5. Perhaps the table itself might be  
14 enlarged. Perhaps my questions might best be directed to  
15 you, Ms Veth. The inscription of the table indicates that  
16 it represents the results of the bio screening as captured  
17 in Aus Lab but it's correct, is it not, that you have  
18 actually gone back to the crime scenes officer's case file  
19 to inform yourself about the data within it?

20  
21 DR VETH: That's correct, that was made available to me  
22 during the course of the review.

23  
24 MR RICE: You've actually I think given the page range  
25 reference in footnotes 2 and 3 to where you've done that.  
26 If we just look at the second column of that table under  
27 the heading "description of staining", it is correct, is it  
28 not, that in no instance of those 12 is there any positive  
29 report by the crime scenes officer of the appearance of  
30 blood in the sample?

31  
32 DR VETH: That's correct, my understanding is that no  
33 staining with the appearance of blood was observed in the  
34 vehicle.

35  
36 MR RICE: If we move to the third column, Combur result.  
37 We see four samples V31, 32, 33 and 34, we see in that  
38 column the words "Combur pos", but having gone back to the  
39 case file you draw attention in paragraph 22 of your report  
40 to the fact that in fact the contemporaneous note was by  
41 the police officer was "Combur negative" in every instance,  
42 correct?

43  
44 DR VETH: I think that's correct, yes.

45  
46 MR RICE: It seems as though in addition to the Combur test  
47 and the Luminol test there was a third test carried out by

1 way of poly light. Are you able to inform us the content  
2 of that test?

3

4 DR VETH: As I understand it's a bright light but I'm not a  
5 crime scene examiner so I actually have no experience with  
6 poly light. I believe it's just a light that - perhaps  
7 Dr Wright can chime in.

8

9 MR RICE: Do you know, Dr Wright?

10

11 DR WRIGHT: Use of the poly light is one of the first in  
12 the sequence of screening for blood and it relies on the  
13 different absorption and reflection characteristics of  
14 certain stains. It's presumptive so there are false  
15 positives and typically different coloured lights in  
16 combination with different coloured goggles that the  
17 operator would wear would lead to contrast if stains were  
18 present, a contrast being visible.

19

20 MR RICE: Would it be fair to say that given that it  
21 involves the application of light it's not intrusive in any  
22 way, it doesn't risk degrading or removing any of the  
23 biological material?

24

25 DR WRIGHT: No, there's been studies done on that to see  
26 the effect of the various poly lights and the different  
27 wave length ranges and the wave lengths that are used  
28 typically by crime scene examiners and the duration that  
29 they shine the light on the area doesn't typically affect  
30 the biological material.

31

32 MR RICE: Thank you. Perhaps back to you, Dr Veth. If we  
33 were then to look at the table and assume in the case of  
34 column 3 that the police officer's contemporaneous notes  
35 about the Combur results are correct, we reach the  
36 position, do we not, that for those first eight samples  
37 there is no report of visible blood and no positive  
38 presumptive test of any kind in relation to them, correct?

39

40 DR VETH: Yes, the very slow Combur result, so there is a  
41 reaction but it's very slow. I think that's why sometimes  
42 they've been called Combur neg and sometimes Combur pos  
43 because there was a reaction but a very slow reaction is -  
44 can be obtained from substances that did not contain blood.  
45 Whereas if blood was present it normally reacts  
46 instantaneously. As the blood is diluted the test reacts  
47 rapidly so we always have to be very careful about what is

1 described here as a very slow reaction because it may be  
2 indicative of something that simply is not blood.

3  
4 DR WRIGHT: Can I add to that, if that's okay. In Brock's  
5 examination notes for V14, 15, 16 and 17 he originally  
6 wrote Combur positive and then crossed it out and replaced  
7 it with Combur negative. That's why the very slow is  
8 there. That part wasn't crossed out. And adding to  
9 Dr Veth, in the transcript of the pre-trial in Brock's  
10 evidence he says that there was a colour change within ten  
11 seconds, it wasn't immediate but it was within ten seconds,  
12 and that's why sometimes he called it positive and  
13 sometimes he called it negative. But according to the  
14 manufacturer within ten seconds should be considered as a  
15 possible positive.

16  
17 MR HUNTER: If one works on the facts that there is no  
18 visible blood and accepts that there is no positive  
19 presumptive test as shown in the table and in accordance  
20 with the police officer's notes, would it be right to say  
21 that on those facts a failure to identify DNA within the  
22 samples would actually be unsurprising? Do you have a  
23 comment on that, Dr Veth?

24  
25 DR VETH: We have this confounding factor that these  
26 samples were also processed in a batch on the multiprobe,  
27 using the multiprobe extraction method and we suspect that  
28 there may also be an issue there. So we don't know if  
29 blood is present or not for these results that are somewhat  
30 inconclusive.

31  
32 MR RICE: Perhaps you can tell me this then, what is it  
33 about those eight samples that points in the direction of  
34 there being blood?

35  
36 DR VETH: In my opinion - the reason why I drew attention  
37 to this was because all of these samples were described as  
38 bloodstains when they were submitted to the laboratory.  
39 The issue I took was there was nothing in the - there's no  
40 visible bloodstaining in these presumptive tests, they also  
41 don't indicate bloodstaining.

42  
43 MR RICE: No, precisely.

44  
45 DR VETH: Therefore the finding of an undetermined DNA  
46 quantitation may not have been unexpected because these  
47 weren't bloodstains. Sorry, because these were samples

1 that are inconclusive for bloodstaining.

2  
3 MR RICE: These samples actually highlight the importance  
4 of an accurate description accompanying them so as not to  
5 give rise to false expectations, that's really your point?  
6

7 DR VETH: Absolutely, absolutely. And that was highlighted  
8 in the report, that because these samples had been  
9 described as bloodstains there was an understanding in the  
10 general community that blood had been recovered from the  
11 vehicle from which the laboratory was not able to obtain  
12 DNA profiling results. And that simply just wasn't the  
13 case. These samples should never have been described as  
14 bloodstains. As per Sergeant Brock's own statement where  
15 it quite clearly says that - I should quote it:  
16

17 *The reference to blood in the statement*  
18 *should be interpreted as a substance that*  
19 *has been (indistinct) as blood, presumptive*  
20 *positive to blood and (indistinct) reliably*  
21 *is blood. These samples have failed on all*  
22 *of those criteria.*  
23

24 MR RICE: In the case of the remaining four where there was  
25 a positive Luminol result, given the absence of the  
26 appearance of any blood, likewise notwithstanding the  
27 positive Luminol result they should not have been reported  
28 as blood, as blood swabs?  
29

30  
31 DR VETH: That's right, they should not have been described  
32 as blood swabs when they were submitted.  
33

34 MR RICE: The other short matter I wanted to ask you about,  
35 and again perhaps it's best directed to you, Dr Veth, it  
36 concerns the scope of the Proteinase K issue when it arose  
37 in March of 2013. Perhaps since your report is available  
38 we might go to p24. And it's paragraphs 115 to 117 I  
39 wanted to ask you about.  
40

41 When this issue arose some evidence has already been given  
42 to the Commission that the person who was investigating the  
43 matter, having noticed the low quantitation results on the  
44 reference sample batch, proceeded to go back to all of the  
45 extraction batches for that month and observe the  
46 performance of the positive extraction control results to  
47 see what was anomalous. Does that sound to you like sound



1 methodology to try to identify the scope of the issue?

2

3 DR VETH: Yes, it's a good place to start because you need  
4 to determine how long the problem may have been occurring.  
5 The problem was very easy to spot in the reference batch  
6 because we expected (indistinct words) from all of the  
7 samples in the reference batch for the most part. It's  
8 much more difficult to spot perhaps with a casework batch  
9 where you have low level trace samples (indistinct words).

10

11 MR RICE: You've identified from the material that was made  
12 available to you that this particular batch of Proteinase K  
13 was introduced into the laboratory early in March, correct?

14

15 DR VETH: Yes, that seems to be the case, yes.

16

17 MR RICE: So looking at the extraction results for the  
18 batches during March enabled the investigator to isolate  
19 Proteinase K as being the source, that's as you understand  
20 it?

21

22 DR VETH: Yes. I understand that early on in the  
23 investigation they determined that there was a possible  
24 problem with the Maxwell extractions because the reference  
25 samples had been, as I understand it, processed on the  
26 Maxwell automated system. So when - I'll just clarify.  
27 When they went back and checked all of the batches is it  
28 possible that they only limited the investigation to the  
29 Maxwell batches? Because they immediately took the Maxwell  
30 robots offline because the initial thought was that it was  
31 problem (indistinct) two batches that were being processed  
32 on the Maxwell.

33

34 MR RICE: At any rate, as we see from paragraph 117, you  
35 were satisfied, were you not, that there's no evidence that  
36 case samples from the Blackburn case were affected by the  
37 quality incident. Now, to reach that conclusion you need  
38 to be reasonably satisfied that the scope of the issue has  
39 been identified, do you not?

40

41 DR VETH: Yes. So we asked for the laboratory paperwork  
42 that was associated with the batches that we had concerns  
43 about in the Blackburn case where the profiling results  
44 were not as expected from bloodstains. We asked for the  
45 laboratory paperwork for those batches and determined that  
46 the brand of Proteinase K was the Sigma brand, not the USB  
47 Affymetrix brand that had been identified as the problem in

1 the quality instigation.

2

3 MR RICE: So that in the end you were satisfied that the  
4 Blackburn case samples were not processed using the  
5 offending Proteinase K batch, correct.

6

7 DR VETH: Exactly, yes.

8

9 MR RICE: Thank you. Those are my questions.

10

11 THE COMMISSIONER: Thank you Ms Rice. Any re-examination,  
12 Ms Reece.

13

14 <EXAMINED BY MS REECE: [3.35]

15

16 MS REECE: Just very briefly, Commissioner, on the issue of  
17 the swabs. I think all three witnesses were asked some  
18 questions about this. So if I can start with Dr Bedowle.  
19 Dr Bedowle, are you aware that since 2018 sub sampling of  
20 DNA samples taken by police has been done by Queensland  
21 Police Service laboratories?

22

23 DR BEDOWLE: I assume so from some of the work it did, but  
24 I don't know the extent of it.

25

26 MS REECE: You were asked about, you and Ms Veth in  
27 particular were asked about a need to act immediately given  
28 the mold issue which had arisen with these swabs. Would  
29 you ever advise to resolve an urgent problem with one  
30 method by changing to something which hadn't been validated  
31 or verified?

32

33 DR BEDOWLE: No, I wouldn't have done that, I would have  
34 chosen a method - and there were methods that could have  
35 been done (indistinct). As I said, I think the most  
36 effective would have been to put it in a tube with some  
37 drying material.

38

39 MS REECE: It's perhaps something of a rhetorical question,  
40 but otherwise if you took that approach how would you ever  
41 know you weren't going from one bad approach to another bad  
42 approach?

43

44 DR BEDOWLE: You don't.

45

46 MS REECE: And if the need for a change was urgent could  
47 there be another way which would be to implement a new

1 approach and then to validate reviewing after perhaps six  
2 months?

3

4 DR BEDOWLE: I mean if you had to put something in place  
5 because there was urgency. Let's say every sample they  
6 were collecting was degrading completely with mold,  
7 certainly some fix would be better than no fix. Then I  
8 would assess it over, in fact not a six month period, over  
9 a month period or a two week, four week period, because I  
10 wouldn't have the confidence and I wouldn't want to prolong  
11 something if I put something online that was not effective.

12

13 MS REECE: All right. Ms Veth, Dr Wright, did you have  
14 anything you would like to add to that?

15

16 DR VETH: I just - I mean if the matter was urgent they  
17 could have returned to the old school method of just  
18 putting the swab back into the tube, then cutting a hole at  
19 the end of the material and letting the swab dry. I mean  
20 that's, that's - a lot of samples are collected, rather  
21 than putting it directly into a sealed tube, you put it  
22 back into a swab cover and let it dry the old school method  
23 and it works pretty well.

24

25 MS REECE: All right, thank you very much. Nothing  
26 further.

27

28 THE COMMISSIONER: Thank you, Ms Reece. Dr Wright, Dr Veth  
29 and Dr Bedowle, thank you very much for your assistance,  
30 it's greatly appreciated and very valuable and thank you  
31 for your time.

32

33 Now, we'll adjourn until tomorrow at 9.30.

34

35 MS REECE: 9.30 please, Commissioner.

36

37 THE COMMISSIONER: Does that suit the rest of you? We'll  
38 adjourn until 9.30, thank you very much.

39

40 **AT 2.38 PM THE COMMISSION ADJOURNED UNTIL FRIDAY 25**  
41 **NOVEMBER 2022 AT 9.30 AM**

42

43

44

45

46

47