

COMMISSION OF INQUIRY  
INTO FORENSIC DNA TESTING IN QUEENSLAND

Court 17, Brisbane Magistrates Court  
363 George Street, Brisbane

On Friday, 26 August 2022 at 9.30am

Before: The Hon Walter Sofronoff QC, Commissioner

Counsel Assisting: Mr Michael Hodge QC  
Ms Laura Reece  
Mr Joshua Jones  
Ms Susan Hedge

1 THE COMMISSIONER: Mr Hodge?  
2  
3 MR M HODGE QC: Commissioner, I appear with Ms Reece,  
4 Mr Jones and Ms Hedge as counsel assisting.  
5  
6 THE COMMISSIONER: Thank you. Now, there are some  
7 applications for leave to appear. Mr Rice?  
8  
9 MR G R RICE QC: Thank you, Commissioner. If it please  
10 the Commission, Rice, initials G R. I appear with my  
11 learned friends Mr Dollar and Ms Dawson, instructed by the  
12 Crown Solicitor. We are seeking leave to appear at the  
13 Commission of Inquiry on behalf of the State of Queensland,  
14 acting through the applicable department, which is  
15 Queensland Health, within which, as the Commissioner would  
16 know, Forensic and Scientific Services resides  
17 administratively.  
18  
19 We have delivered submissions to the Commission on  
20 19 August, as requested by the practice direction. We rely  
21 on those. Unless there is anything further, Commissioner?  
22  
23 THE COMMISSIONER: Thank you. You have leave.  
24  
25 MR RICE: Thank you.  
26  
27 THE COMMISSIONER: Yes. Mr Hunter?  
28  
29 MR J R HUNTER QC: May it please the Commission, Hunter,  
30 initials J R. I appear with my learned friend  
31 Ms Cartledge, initials S J. We are instructed by the  
32 Commissioner of Police and we seek leave to appear.  
33  
34 THE COMMISSIONER: You have leave, Mr Hunter.  
35  
36 MR M T HICKEY: May it please the Commission, Hickey,  
37 initials M T. I am instructed by McCullough Robertson.  
38 I appear for Catherine Allen, who is the managing scientist  
39 at the Queensland Health Forensic and Scientific Services,  
40 and Justin Howes, who is the team leader of the same  
41 organisation. There was an application made in writing  
42 yesterday, Commissioner, late by reference to the practice  
43 guideline. That is as a consequence, as is set out --  
44  
45 THE COMMISSIONER: It does not matter, Mr Hickey. You  
46 have leave. Anyone else?  
47

1 Yes, Mr Hodge.

2  
3 MR HODGE: Commissioner, I was just going to say something  
4 relatively brief in opening.

5  
6 THE COMMISSIONER: Yes.

7  
8 MR HODGE: Under your terms of reference you are tasked  
9 with determining whether the collection, testing,  
10 processing and analysis of DNA samples in Queensland has  
11 been conducted in accordance with international best  
12 practice both now and in the past, and, if it is not, or if  
13 it has not been the case, then your terms of reference  
14 require you to consider why that is so.

15  
16 In Queensland, DNA testing for criminal investigations  
17 is carried out by the Forensic and Scientific Services  
18 laboratory which is part of Queensland Health. There is  
19 a close relationship between the laboratory and the  
20 Queensland Police Service: the lab is partly funded by an  
21 allocation from Queensland Health and partly funded by the  
22 QPS. The lab and the QPS share a database called the  
23 forensic register. In most cases, QPS collects the samples  
24 that are processed by the lab.

25  
26 As you know, at the time of your appointment, on  
27 10 June 2022, three issues had arisen in public within the  
28 preceding 12 months about DNA testing in Queensland.

29  
30 The first issue of public concern was in relation to  
31 the DNA evidence that was used in the investigation of the  
32 murder of Shandee Blackburn in Mackay in February 2013.  
33 This issue had come to public attention last year as part  
34 of Hedley Thomas's podcast, published by The Australian.  
35 Mr Thomas had interviewed Dr Kirsty Wright, who raised  
36 questions about the processing of DNA samples by the  
37 Queensland lab in that particular case.

38  
39 The second issue that has received significant  
40 attention this year is about whether a particular threshold  
41 that had been adopted in 2018 for the testing of DNA  
42 samples by the laboratory was appropriate. That issue  
43 emerged in public as part of a submission made by the QPS  
44 to the Women's Safety and Justice Taskforce.

45  
46 I will say a little bit more, later, about that  
47 threshold but it was adopted in 2018 and it meant that DNA

1 samples with low levels of DNA, after what is referred to  
2 as initial quantitation - quantitation being the measuring  
3 of the quantity of DNA in a sample - would not be further  
4 tested by the lab unless the Queensland Police Service or  
5 a forensic scientist at the lab specifically requested it.  
6

7 In addition, such samples were reported as having  
8 insufficient DNA for further processing and again I will  
9 say something more, shortly, about the process by which  
10 that threshold was introduced.  
11

12 But for the moment, just in understanding the public  
13 issue, it is sufficient to say that the statistics  
14 presented by the laboratory to QPS in 2018 were that around  
15 10 per cent of the samples with DNA at this low level  
16 would, if tested further, result in a DNA profile which  
17 could then be used to compare to a sample of a known  
18 person, but then around only 1.5 per cent of samples could,  
19 if tested further, result in the making of a previously  
20 unknown link to somebody on the national DNA database.  
21

22 What happened after 2018 was that in 2021 the QPS  
23 requested retesting of many samples in this range, and in  
24 their submission to the Women's Safety and Justice  
25 Taskforce for discussion paper number 3, the QPS reported  
26 that the overall success rate of obtaining a useable  
27 profile when they requested retesting during that period  
28 was 30 per cent, and for sexual assault offences,  
29 66 per cent.  
30

31 I should pause there just to say, as I am sure the QPS  
32 would agree, that is not a random statistical sample. That  
33 is where they could obtain a profile where samples were  
34 selected by the QPS. But, unsurprisingly, this led to  
35 public concern about the thresholds used at the laboratory,  
36 and on 6 June 2022, the Premier of Queensland announced  
37 that the threshold would be abandoned.  
38

39 THE COMMISSIONER: Mr Hodge, as I understand what you are  
40 saying, you are saying that it is common ground that  
41 samples within the range that you described between a low  
42 level and a higher level are samples with a quantity of DNA  
43 that are generally regarded as low, but that such samples  
44 can, either 10 per cent of the time or 30 per cent of the  
45 time, but they can a proportion of the time, provide  
46 useable DNA profiles, but they were not tested further as  
47 a matter of routine?

1  
2 MR HODGE: That is right. Perhaps to put this in some  
3 sort of more specific context, the way in which the  
4 quantity of DNA in a sample is measured is as nanograms per  
5 microlitre. So a nanogram is one billionth of a gram, and  
6 the technology that is used in the laboratory is capable of  
7 detecting a quantity of DNA as low as one thousandth of one  
8 billionth of a gram, and the range that was being dealt  
9 with in this case was between .001 nanograms per  
10 microlitre - so that is one thousandth of one billionth of  
11 a gram - and .0088 nanograms per microlitre, so that is  
12 roughly nine times the bottom end of the range of one  
13 thousandth of one billionth of a gram.

14  
15 Within that broad range there is no doubt that, at  
16 least in some cases - and there might be a debate about in  
17 what proportion of cases - it is possible to extract either  
18 a full or partial profile, but between 2018 and 6 June  
19 2022, samples within that range were not routinely  
20 processed for further testing once they had been measured  
21 as being in that low level.

22  
23 THE COMMISSIONER: And what kind of offences are we  
24 talking about that pertained to this class of samples that  
25 were not routinely tested?

26  
27 MR HODGE: Serious offences: homicides, sexual offences.

28  
29 Perhaps, then, just to tie off on that, it is perhaps  
30 important to bear in mind that with these statistics that  
31 we are talking about, we are talking about real cases. So  
32 one useable DNA profile in relation to a murder or a rape  
33 may be sufficient to solve that investigation. So  
34 statistics alone do not really tell you the full story of  
35 what the potential significance is for how that threshold  
36 might affect the investigations within the criminal justice  
37 system.

38  
39 Then the third issue that arose publicly was that  
40 there were some statistics that were published last year,  
41 and published by, in effect, the Queensland Police Service,  
42 that raised a question about the performance of the  
43 Queensland lab in relation to the quantity of useable DNA  
44 profiles which the lab was obtaining from some common types  
45 of samples, including blood, saliva, semen and penile and  
46 vaginal swabs. The statistics appeared in an article  
47 written by Dr Matthew Krosch, a principal research officer

1 at the QPS, and the article was published in the Australian  
2 Journal of Forensic Sciences and then picked up on by  
3 Dr Wright as part of her engagement with Mr Thomas.  
4

5 So these three issues that had already been raised in  
6 the public are things that we understand you will want to  
7 consider thoroughly, but in turn, they may lead to other  
8 questions that need to be considered and answered by you as  
9 part of discharging your terms of reference, and we are  
10 conscious, as we know you are, that the resolution of these  
11 issues, as well as the consideration of the wider question  
12 of whether the laboratory is currently operating in  
13 accordance with best practice, is essential to ensure  
14 public confidence in the criminal justice system in  
15 Queensland.  
16

17 I want to now briefly give some sense to the public  
18 who are listening to this of the work that you and those  
19 assisting you have undertaken since your appointment on  
20 10 June 2022.  
21

22 You have issued already 111 requirements under your  
23 powers to compel the production of information, answers and  
24 documents. Amongst those requirements, you have required  
25 36 statements from 22 people. Some of those statements are  
26 finalised, some are in draft, some are not yet due.  
27

28 Already around 60,000 documents have been received in  
29 response to requirements you have issued to various  
30 agencies, departments and organisations, and more are  
31 expected in response to requirements you have already  
32 issued and, of course, your inquiry continues. And the  
33 Commission has conducted over 40 interviews.  
34

35 You have indicated to us that you intend to hold  
36 public hearings, as is appropriate for the nature of the  
37 issues raised, and at present we understand your  
38 expectation is that we will commence public hearings on  
39 about 26 September 2022.  
40

41 It is likely that those public hearings will be  
42 separated into a few short modules, and I will say  
43 something now about the topics that the Commission is  
44 presently examining and that may form part of the public  
45 hearings.  
46

47 The first topic is the introduction and then removal

1 of that threshold for further processing to which  
2 I referred earlier.

3  
4 The way in which the threshold was introduced in 2018  
5 was as a result of the lab presenting an options paper to  
6 the Queensland Police Service. The QPS agreed with the  
7 option presented by the lab, and this was to cease  
8 processing those samples within that range of  
9 one thousandth of one billionth of a nanogram per  
10 microlitre up to .0088 nanograms per microlitre of DNA.  
11 The consequence of that was that when they were measured at  
12 that level, they were no longer further processed unless  
13 requested by the QPS or a scientist, and the samples would  
14 be labelled by the lab as "DNA insufficient for further  
15 processing".

16  
17 So in addition to not testing the samples further,  
18 a further result of the options paper was that this label,  
19 "DNA insufficient for further processing", was used in  
20 reports to the Queensland Police Service, and similar words  
21 were used in formal witness statements prepared for  
22 scientists to give evidence in court.

23  
24 As we have discussed already, it is universally  
25 accepted that samples within this range can, in certain  
26 circumstances, be processed so as to obtain a useable DNA  
27 profile. That does not mean that every sample will obtain  
28 a useable DNA profile, but it means that it is possible  
29 that some samples will, and you have been considering  
30 whether this way of reporting the results, "DNA  
31 insufficient for further processing", was accurate and  
32 understood accurately by police, prosecutors, defence  
33 counsel and juries.

34  
35 I should mention that another related issue you may  
36 wish to consider is the way that the lab reports samples  
37 with even lower amounts of DNA in them - that is, less than  
38 what is the limit of detection of the technology used in  
39 the lab, which is one thousandth of one billionth of  
40 a gram. Below that threshold, the laboratory reports the  
41 results of DNA testing as "no DNA detected" to the police  
42 and in their formal witness statements, and those words,  
43 "no DNA detected", may have a different meaning to  
44 a scientist who understands the concept of a limit of  
45 detection, as compared with an ordinary person or an  
46 ordinary juror.

1 THE COMMISSIONER: So the description "DNA insufficient  
2 for further processing" would then appear on a report that  
3 is given to prosecutors, defence counsel and jurors, and  
4 would be communicated in that form, presumably, to some  
5 victims of sexual assaults, so that while it may be that  
6 the particular sample to which that label has been attached  
7 might give up a useable profile, a victim of crime might be  
8 told, "Although a vaginal swab has been taken and you have  
9 said that your assailant ejaculated within you, the lab  
10 reports 'insufficient DNA for further processing', so that  
11 is the end of that"?

12  
13 MR HODGE: That was the end of that, yes. Yes, what you  
14 have said, Commissioner, is accurate. Perhaps one  
15 qualification is that the statement prepared by the  
16 laboratory, which one would expect would go to defence  
17 counsel and prosecutors, might not directly go to jurors,  
18 but would inform the information that is provided to  
19 jurors.

20  
21 THE COMMISSIONER: Yes. The statement would not go to  
22 jurors, but it would be the basis of the oral evidence  
23 given by the scientist and, what is more, it might be the  
24 basis of the conclusion given by a police investigator to  
25 a person who has complained about a sexual assault?

26  
27 MR HODGE: That is right.

28  
29 Now, as I mentioned earlier, the Premier announced at  
30 a press conference in June this year that the threshold  
31 that had been introduced in 2018 would be removed. That  
32 left the question in the lab of how those samples would  
33 then be processed.

34  
35 Before the 2018 options paper, such samples had been  
36 concentrated, and what that means, in essence, is that the  
37 samples were distilled to get the highest ratio of DNA per  
38 microlitre before they were then tested further, and  
39 concentration in that way can assist in obtaining a useable  
40 profile from the further testing steps.

41  
42 However, a decision was made on 6 June 2022 to go  
43 straight on with further testing of samples within that  
44 range without concentration. That was not, therefore,  
45 a reversion to the process as it had existed within the lab  
46 immediately before the 2018 options paper, when samples at  
47 that low level were concentrated before they went on for



1 further testing.

2

3 Then a week ago, on 19 August 2022, a further decision  
4 was made by Queensland Health to concentrate the samples  
5 before further testing, and subject to some qualifications  
6 of detail that I will not go into today, that appears to  
7 have been a reversion to the process as it existed  
8 immediately before the 2018 options paper.

9

10 Against that background, what I would say is we expect  
11 that this case study will raise some specific questions as  
12 to what occurred in 2018 and in 2022 and why, but also some  
13 more general questions about the effective functioning of  
14 the lab. For example, we expect you will need to consider,  
15 amongst other things: what, as a matter of good science  
16 and practice, the laboratory ought to have done for those  
17 making decisions to be satisfied as to what processes they  
18 should adopt for samples at different levels of  
19 quantitation - that is, different measurements of DNA; and  
20 the rationale for presenting to QPS in 2018 the option of  
21 ceasing to process samples between .001 nanograms per  
22 microlitre and .0088 nanograms per microlitre and the  
23 accuracy of the information that was provided to the QPS at  
24 that time; and whether there was any fault of QPS or the  
25 lab or both in adopting the threshold for further  
26 processing; and the adequacy of the decision-making  
27 process, not only in 2018 but also the decision-making  
28 process in 2022, for first deciding not to concentrate  
29 samples automatically in June of 2022, and then, a week  
30 ago, to decide to automatically concentrate samples.

31

32 THE COMMISSIONER: Mr Hodge, are we aware yet of any  
33 reason why a decision was taken to process samples within  
34 that class, as of early June of this year, but not to  
35 concentrate the sample?

36

37 MR HODGE: Could I answer that in a general way: we are  
38 aware at a general level of the decision-making process and  
39 we are continuing to investigate that further in order to  
40 understand exactly who made the decision and what  
41 information they were provided with.

42

43 THE COMMISSIONER: Yes, all right.

44

45 MR HODGE: Did you have any other questions about that,  
46 Commissioner?

47

1 THE COMMISSIONER: No, no, go ahead.

2  
3 MR HODGE: And so what we would say is, in general, we  
4 expect this case study of the 2018 options paper and the  
5 introduction of the threshold and the approach to steps  
6 taken in relation to testing samples within that threshold  
7 to be a useful case study for you to consider,  
8 Commissioner: what constitutes best practice, in terms of  
9 deciding how such samples should be processed; the process  
10 by which decisions like this are made, both in this case  
11 and in the lab more generally; and whether that process  
12 involved appropriate considerations and was done on the  
13 basis of sound scientific evidence. At present, we expect  
14 this to be the subject of the first short module as part of  
15 the modules that we anticipate will form part of your  
16 public hearings.

17  
18 The second topic I want to speak about briefly is  
19 another very important topic for the Commission to  
20 consider, and that is the handling of DNA evidence in  
21 relation to the investigation of the murder of  
22 Shandee Blackburn. Ms Blackburn was 23 years old when she  
23 was killed not far from her home in Mackay in February of  
24 2013. She was walking home after finishing work late at  
25 night. There were no eyewitnesses who could identify her  
26 killer and the forensic investigation of the scene and  
27 other sites yielded little to police to assist them in  
28 building a case against any individual.

29  
30 Ultimately, in 2017 a man was tried for and acquitted  
31 of her murder. There was no DNA evidence that linked him  
32 to the murder of Ms Blackburn.

33  
34 There was a subsequent coronial investigation in 2020,  
35 and in February of this year the central coroner announced  
36 that the inquest will be reopened. We are, and will  
37 remain, conscious of the need to be careful and how any  
38 public scrutiny in this inquiry might affect or overlap  
39 with other processes that are ongoing. But as I mentioned  
40 earlier, since November last year there has been  
41 considerable public interest about this case due to the  
42 podcasted reporting of Mr Thomas, and Mr Thomas's work,  
43 with the assistance of Dr Wright, has raised some questions  
44 as to the results obtained by the lab from samples  
45 collected in that investigation and the possible reasons,  
46 relating to the functioning of the lab in 2013, for the  
47 results.

1  
2 Now, those questions may or may not give rise to  
3 a reason to doubt the accuracy of the results from DNA  
4 testing in that case or the adequacy of the process or  
5 processes that were in place in 2013, but we identify this  
6 as a topic we are investigating and note that it may  
7 regrettably be the case that, given the passage of time, it  
8 is no longer possible to either confirm or dispel all of  
9 the suspicions that have been raised about the DNA testing  
10 in 2013. At present, we anticipate that this will also  
11 constitute the subject matter of a short module.

12  
13 The final topic that we will mention today,  
14 Commissioner, is broader and more general. It is the  
15 overall functioning of DNA collection and analysis in  
16 Queensland. There are a number of different aspects of  
17 this that we are looking at, and some of these may form  
18 part of another module examining that overall function.

19  
20 I will give you, Commissioner, some examples of these  
21 issues.

22  
23 First, we are looking at the current systems used for  
24 the collection of samples for processing by the lab. One  
25 part of this is the Queensland Police Service's processes  
26 for the collection of biological material for forensic DNA  
27 testing, and this involves a consideration of their  
28 policies for collection and transportation of biological  
29 material, the training materials they use and the auditing  
30 requirements for their forensic officers and their quality  
31 assurance processes. It also includes the equipment and  
32 materials used by Queensland Health staff for the  
33 collection of samples from victims of sexual assault. We  
34 understand that, in Queensland, forensic medical  
35 examinations are typically conducted by Queensland Health  
36 staff using sexual assault investigation kits, and this is  
37 a further area of collection and testing that we are  
38 examining.

39  
40 Secondly, we are looking at the current operations of  
41 the laboratory to ensure that it is operating in accordance  
42 with best practice, and there are many different aspects of  
43 this. For example, matters of interest to you,  
44 Commissioner, may include the qualifications and training  
45 of staff, the division of skills and tasks between  
46 analytical and reporting scientists, the methods by which  
47 validations are conducted for new instruments, the

1 laboratory's quality management systems and the processing  
2 of bones.

3  
4 Another area of interest might be how, when issues  
5 with processes at the laboratory have arisen within the  
6 laboratory in the past - for example, in relation to the  
7 contamination and processing of sperm samples - those  
8 issues were addressed, and that might, in turn, inform your  
9 understanding of the nature of the culture within the lab.  
10 That issue of culture might be one you wish to consider,  
11 Commissioner, as to the relationship between the management  
12 of the lab and scientific integrity of the processing and  
13 analysis of samples and then the reporting of the results  
14 from the lab.

15  
16 If there are issues that you identify with the general  
17 operation of the laboratory, Commissioner, then a further  
18 question for you, we expect, will be why those issues have  
19 not been identified and addressed earlier. That might lead  
20 you to consider things such as the adequacy of data  
21 collection and evaluation at the lab or the role of NATA in  
22 accrediting the lab.

23  
24 I should say, we understand that the National  
25 Association of Testing Authorities, or NATA, is recognised  
26 by the Commonwealth as the national authority for  
27 laboratory accreditation in Australia. NATA accredits the  
28 Queensland lab and the accreditation process is based on  
29 a three-year cycle and involves a full assessment every  
30 18 months. It may be relevant for you to understand  
31 whether there are any systemic or acute issues which were  
32 or should have been identified within the lab by NATA.

33  
34 Then the third and final example, Commissioner, that  
35 forms part of this broad topic, is the interrelationship  
36 between QPS and the lab. The 2018/19 Queensland Audit  
37 Office report recommended that the QPS and Queensland  
38 Health Forensic and Scientific Services implement  
39 a performance framework to measure and report on the  
40 effectiveness and efficiency of forensic services, and you  
41 may wish to consider whether effectiveness and efficiency  
42 measures have been implemented and, if not, why not. Given  
43 that QPS partly funds the operation of the lab, you may  
44 wish to consider the funding relationship and the adequacy  
45 of the funding of the lab in general for meeting the needs  
46 of Queenslanders to have confidence in the criminal justice  
47 system.

1  
2 Commissioner, what I have said has been our very short  
3 overview of some of the issues that we have been  
4 investigating at your behest. As will be apparent from  
5 what I have said earlier, a substantial amount of work has  
6 already been done, but there is also a substantial amount  
7 to go.

8  
9 THE COMMISSIONER: Thank you, Mr Hodge. One thing that  
10 you have raised prompts me to say this: we have published  
11 on the Commission's website a message to victim survivors  
12 of offences that have been committed, and in that message  
13 I invited such people who think errors may have been made  
14 in DNA collection or testing or analysis to make  
15 a submission to me about how the system of collection and  
16 processing of DNA samples has affected them.

17  
18 I should say, and I want to emphasise, that  
19 submissions of that kind will probably not result in any  
20 different outcome for an individual case, because the task  
21 of my inquiry is not to look at particular cases with  
22 a view to seeing how they went awry and recommending that  
23 steps be taken to rectify anything that went awry, if  
24 anything did ever go awry. The task of my Commission is to  
25 investigate how the system of DNA testing in Queensland  
26 works and whether there are any problems and, if so, what  
27 they are and how they can be rectified.

28  
29 So I emphasise that if you make a submission to me  
30 I will be interested in reading it, but it is unlikely that  
31 anything that I say in my report or anything that I can  
32 recommend to the government as a result of things that I  
33 have looked at will directly affect your case. However, if  
34 you think that what you have experienced would assist me in  
35 my task, then I invite you to make submissions to me.

36  
37 Mr Rice, is there anything arising out of what has  
38 happened this morning?

39  
40 MR RICE: Nothing at this point, Commissioner.

41  
42 THE COMMISSIONER: Mr Hunter?

43  
44 MR HUNTER: No, thank you.

45  
46 THE COMMISSIONER: Mr Hickey?

1 MR HICKEY: No, thank you.

2

3 THE COMMISSIONER: Thank you. Well, we will adjourn,  
4 then. The likely hearing date, as you have heard, is that  
5 hearings will begin in all likelihood on 26 September,  
6 here. Thank you. Adjourn, please.

7

8 AT 10.06AM THE COMMISSION WAS ADJOURNED ACCORDINGLY

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47